

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF MICHIGAN

IN RE:
U.S. EPA PUBLIC MEETING FOR THE
PROPOSED CLEAN-UP OPTIONS FOR
SEGMENT 1 of the TITTABAWASSEE RIVER,

_____ /

PROCEEDINGS HELD in the above-entitled matter on
Tuesday, August 16, 2011 at Saginaw Valley
State University, Curtiss Hall 7400 Bay Road,
Saginaw, Michigan at 6:34 p.m.

REPORTED BY: Joanne Kendall, CER-5687
Tri-City Court Reporters
5226 State Street
Saginaw, Michigan 48603
(989) 792-4712

1 Saginaw, Michigan

2 Tuesday, August 16, 2011 -- 6:34 p.m.

3 MS. KRAUSE: Good evening. We'll get
4 started. My name is Patricia Krause with the U.S.
5 Environmental Protection Agency. Our purpose is to
6 share with you the environmental clean-up options for
7 contaminated sediment in the section of the
8 Tittabawassee River and formally get comments at this
9 public hearing.

10 Our agenda will begin with presentation.
11 After the presentations we'll take some questions and
12 answers and then take a short break and come back for
13 the public hearing where we'll just be taking your
14 comments. We will not be responding during that time
15 because that's your time to talk.

16 Your questions and comments during the public
17 hearing will be recorded by the court reporter. Your
18 comments will be presented into a summary that will
19 later be made available. We'd like to go through the
20 presentation all the way through before we take
21 questions.

22 First, I'd like to make some introductions
23 about who's here tonight. From EPA, there's Diane
24 Russell, Tim Prendiville, Catherine Garypie, Mary
25 Logan, our project manager. From MDEQ there's Al

1 Taylor and Cheryl Haue and then Joe Haas isn't here
2 today, okay.

3 Now I'm going to introduce Mary Logan who
4 will be presenting. As most of you know Mary is the
5 project manager for this site. Thank you. Mary?

6 MS. LOGAN: Good evening, we do not have a
7 big crowd tonight. It's good to see you come out and I
8 appreciate it. I've put together the presentation with
9 the idea that there may be some people in the audience
10 who are unfamiliar with the river and the project and,
11 clearly, many of you are not. And I'm going to go
12 through this relatively quickly because I think a lot
13 of you are quite familiar with the information. And
14 during the question session I'll be happy to go back.
15 I will tell you I'll try to curb my enthusiasm to talk
16 really quickly.

17 As Patti said we're here to talk about the
18 proposed clean-up options for Segment 1 of the
19 Tittabawassee River. The Tittabawassee River as many
20 of you know, most of you know is EPA sub (inaudible)
21 with Dow as part of the settlement agreement it
22 requires a number of activities.

23 One of them is dealing with high use
24 properties. One of them is dealing with contaminates,
25 or contaminate migration. But really the crux of what

1 we're trying to accomplish under the settlement
2 agreement is comprehensively work segment-by-segment
3 upstream to downstream to develop clean-up approaches
4 and to comprehensively make conditions better as we
5 move down the river.

6 Now Segment 1 starts at the beginning of the
7 Tittabawassee River site, starts upstream near the
8 Tridge and then moves downstream for about three miles,
9 3.1 miles, adjacent primarily to the Dow site, or Dow
10 plant in Midland. And there's a bit of Consumer's on
11 the other side of the river adjacent to Segment 1.

12 Some clean-up has occurred in Segment 1
13 already. And that is primarily done to address Dioxin
14 contamination. And at this point we're proposing
15 clean-up options for six Sediment Management Areas that
16 have been identified, or in some of the presentations
17 you'll see them referred to as SMA. And we are
18 proposing options for those six Sediment Management
19 Areas.

20 We would expect clean-up to be designed after
21 we finalize a plan and be prepared to have clean-up
22 begin in 2012.

23 I'm not going to get into detail on this, but
24 this is really the table that was taken out of your
25 fact sheet so let's take -- I just want to give you the

1 overall layout. What we've done is Sediment Management
2 Areas and we've grouped some of them together.

3 For each Sediment Management Area we
4 developed three alternatives. EPA proposed
5 alternatives, Alternative 2 in each case and so we will
6 be presenting these alternatives as part of the
7 presentation.

8 As a result of the investigations that have
9 been conducted in Segment 1 there was a considerable
10 amount of sediment tump land in the office for
11 chemistry. There was also evaluations of sediment
12 stabilization and how the materials moved within the
13 segment. There was biological evaluations done on both
14 small invertebrate that live on the surface of the
15 sediment or in the sediment as well as fish and other
16 biological evaluation.

17 And we did some work to look for contaminant
18 called black tar liquid or DNAPL, which is a tarry,
19 oily product-like material that is heavier than water.
20 It does not mix well with water and it sticks to the
21 system to where it hits impermeable air and sits there.
22 We did some work in terms of investigating for DNAPL.

23 As a result of previous work and the
24 investigations have laid out for us Dioxins and furans
25 in Segment 1 were largely addressed by the clean-up in

1 Reaches B and D and were not the driver of the basis
2 for clean-up in Segment 1.

3 The six compounds listed for chemicals listed
4 here are the primary drivers, chlorobenzenes,
5 chlorophenols, PAH's, arsenic, ethyl parathion,
6 o-phenylphenol are some of the contaminants that we are
7 targeting as our, as part of the clean-up option.

8 As I mentioned, we looked for DNAPL and
9 DNAPL, a recoverable product, was found in some
10 locations. This is a picture of a sample in the, the
11 oily, goopy, black material at the bottom is indicative
12 of some of the nonmixing DNAPL that was found in the
13 system.

14 The suite of chemicals does not spread
15 throughout Segment I. We have found it in relatively
16 discrete locations and they're not always found
17 together. And we believe that the contaminants found
18 and deposited are due to historical releases, and the
19 waste management facility controls up at the Midland
20 plant are now protecting the river from additional
21 source of contamination.

22 Now I said that Segment 1 is unique. And
23 part of the reason that it's unique is unlike the
24 remainder of the Tittabawassee downstream, this is
25 highly industrial. This is the Dow Midland facility, I

1 don't know exactly where, this is part of Consumer's.
2 The banks along the river here have been hardened and
3 structures have been put along these sheet piles,
4 riprap, things like that, very industrial, no green
5 space, no residences, no areas like we see further
6 downstream.

7 The only dam that we have in the system is
8 the Dow dam, which is up here about one mile down from
9 the Tridge and about two miles up from the bottom of
10 the Segment. And that's some of the things that are
11 unique about this.

12 So why are we proposing to clean-up in
13 Segment 1? One of the things we found is that some of
14 the chemicals can, when they're on the surface can harm
15 small invertebrate, those that live on the river
16 bottom. And some of the chemicals have a potential to
17 bioaccumulate. So the deeper contaminants we are
18 concerned that if there would be erosion in the future
19 that they could be exposed or they could continue to
20 work as a contaminant source.

21 Again, this is in your fact sheet that
22 identifies the six Sediment Management Areas that we
23 are targeting for clean-up. It also gives you a feel
24 for where the clean-ups were done previously to address
25 Dioxin contamination here and here.

1 This is the action that is addressing some
2 DNAPL, water, a sand bar adjacent to the ground water
3 collection system that we're going to talk about.

4 So to the Sediment Management Area clean-up
5 options. First thing, they have them in groups because
6 of similarities and conditions in the similarities we
7 feel they're appropriate options. So 1 is by itself.
8 2 and 3 are together, 4 and 5 are together and 6 is by
9 itself.

10 The type of technologies that we've used
11 include capping, which is placing clean material over
12 contaminated sediment.

13 Containment systems which would be a system
14 of sheet piles in a low permeability capped to isolated
15 area. And that technology is always combined with
16 either DNAPL removal and treatment or hydraulic control
17 and treatment or both.

18 And then DNAPL removal and treatment would
19 involve going after the DNAPL material, removing it
20 from the river and treating it to destroy it. Dredging
21 the bottom, removing sediment from the river, moving it
22 to a staging area where it's managed. Water is removed
23 from it. The sediment would be tested, treatment, if
24 necessary, it would be treated and it would be disposed
25 in an approved landfill.

1 Hydraulic control relies on managing the
2 water within the sediment to ensure that it does not
3 flow away from the contamination, but is captured and
4 treated as well.

5 And then monitoring natural recovery relies
6 on the natural, physical, chemical or biological
7 process to reduce contaminant levels over time.

8 So what we did with these technologies, I
9 know you can't see it, but what we did with the
10 technologies is we combined them to make alternatives.
11 So in some cases you'll see one technology to make the
12 alternative. And then in other cases multiple
13 technologies have been combined to create the
14 alternative.

15 As we have evaluated the alternatives to try
16 to pick out which one we would propose, we are obliged
17 to look at effectiveness, implementability, and cost as
18 we evaluate and compare between alternatives. And in
19 particular, there are subcategories that we consider.

20 In the case of what we're looking at for
21 Segment 1, some of the major differences between
22 alternatives relate to longterm effectiveness and
23 permanence, the reduction of toxicity, mobility, or
24 volume for treatment, short-term effectiveness. And
25 then we do have some differences in how easy or

1 technically challenging the different remedies might be
2 to construct.

3 So let's get into the Sediment Management
4 Area, and I will move relatively quickly through some
5 of these. There's a lot of pictures associated with
6 these.

7 Conditions in Sediment Management Area 1 we
8 have arsenic and PAH sediment that are near the
9 surface.

10 I'm sorry, let me step back. The layout of
11 all these pictures is as follows: This is a
12 cross-section of the Tittabawassee River. This is the
13 Dow main plant site over here. This is either owned by
14 Dow or Consumer's. What we have is, as we do in this
15 case as well, have a system that is the ground water
16 protection system, which is called Regis system.

17 The system is comprised of a collection
18 trench that is a permeable material so water flows into
19 it. There are pipes and trench and pumps at the bottom
20 that pull the material out. And then there's a
21 hydraulic pump that's created that pulls water,
22 contaminated ground water, towards the system. There's
23 a sheet pile log between the Regis trench and the river
24 side, and then there's material and rocks and material
25 placed to protect the sheet pile wall.

1 So these pictures are all going to look very
2 similar to this in terms of different cut-a-ways. We
3 have sandy sediment at the site and different depths,
4 but we also have the underlying material, till, which
5 is a hard geological formation that is very difficult
6 to cut into and relatively impermeable.

7 EPA's recommended alternative for SMA 1 is to
8 cap the area with a cap that would both try to isolate
9 and stabilize the material. So again, trying to use
10 this just as an example, we would place material over
11 the contamination and that cap would remain in place.
12 There would be operation, maintenance and monitoring of
13 it to ensure that it would continue to be effective.

14 Our first alternative, which we are not
15 recommending is monitor natural recovery. And that
16 would involve looking over time at the contaminants and
17 see if they were reducing to a level that would reduce
18 the risks.

19 EPA does not recommend this as a recommended
20 alternative because we have some concerns with the
21 amount of time it might take to reach a level that was
22 appropriate. The process that we anticipate would be,
23 going on here would be either burial with clean
24 material or mixing with clean material. And we did not
25 feel that we reasonably could anticipate what the

1 timeframe would be.

2 The third alternative which, again, we are
3 not recommending is to dredge and dispose the sediment.
4 That would involve probably creating a temporary
5 construction ramp into the river. And this is using
6 mechanical, illustrating mechanical, but we'd use
7 mechanical or hydraulic equipment to try to get at the
8 sediment.

9 Now in this case the sediment because it was
10 near the surface we believe there's clean underlying
11 material that could be cut into, so it would not be a
12 case where we were trying to dredge on the till. And
13 I'm going to talk about that in a minute. But what
14 would happen in this case is sandy material would fill
15 in over time the area that had been dredged. And we
16 are looking to address these chemicals to protect the
17 microorganisms.

18 Right now the habitat that we have out there
19 is a fairly good habitat for them and the sandy
20 material that would fill in the area is not a good
21 habitat. So we feel that by creating a cap that had
22 rockier material that we would be creating a better
23 habitat than just the sand that would fill in after
24 dredging.

25 So Sediment Management Areas 2 and 3. In

1 this case it's been pointed out the picture is little
2 bit deceptive, but we have a suite of chemicals that
3 are associated with a-crem-ally (ph) chlorobenzenes,
4 but also chlorophenols, o-phenylphenol, that's SMA 3,
5 PAH for SMA 3.

6 We have a case where we have DNAPL sitting on
7 top of the till and we have an entire sediment column.
8 So we don't (inaudible) like this, we really have an
9 entire sediment column of contamination as part of
10 these Sediment Management Areas.

11 EPA recommended alternatives would be
12 Alternative 2, containment system of sheet pile and low
13 permeability cap would be constructed around the area.
14 Hydraulic control would be provided and then the
15 material, the water material would be treated. DNAPL
16 would be removed and treated. And that is going to be
17 shown in a second here.

18 Hydraulic control is an element of at least
19 three of our remedies. I'm going to show you a quick
20 set of cartoons about how hydraulic, how we anticipate
21 hydraulic control might be put in place.

22 Right now the Regis system, the ground water
23 system has sheet pile that run along the river side and
24 so this is illustrating the top of the Regis system,
25 the sheet pile wall and then the materials, the

1 riprap materials in the river.

2 If we were looking to create an isolation
3 system, we would want to tie into that existing sheet
4 pile with additional sheet pile, make sure we create a
5 box that was quite complete on all sides. So this is a
6 -- that was a bird's eye view, this is an angle view
7 down.

8 In this case we got the top of the water
9 surface illustrated here and here, the grey material is
10 the top of the sediment, soft sediment. And so we
11 would anticipate trying to drive sheet pile in so that
12 it penetrates the water, goes through the water, goes
13 into the soft sediment and, essentially, flush with the
14 soft sediment when we're done.

15 So now we're showing where, real quickly,
16 where they place sheet pile in and then cut through the
17 water to the soft sediment to create, essentially, a
18 box that would then encapsulate the contaminated area.
19 This is just giving you a cut-a-way in terms of how the
20 box is anticipated to surround it. So now we see these
21 views. This is sheet pile and this is sheet pile, but
22 understand that it surrounds the work area.

23 So a recommended alternative, a well is
24 another mechanism to remove DNAPL to be put in place.
25 A low permeability cap would be put over to complete

1 the isolation. And then somehow, and we have not
2 decided how we would do it, but we would want to create
3 a connection, we would create a connection directly to
4 the Regis system where I'm going to show you an example
5 later where we would use a well to have hydraulic dams,
6 so not only would we be addressing the DNAPL, but we
7 would be addressing the water that was within the
8 sediment pore.

9 So this is illustrating a connection, you
10 know, a cartoon fashion with a Regis. We would
11 anticipate then DNAPL is removed via these wells
12 hydraulic control. There would be some inward movement
13 from the river into the encapsulated area. Then that
14 would be managed and treated and controlled. When
15 DNAPL removal is complete, we would still maintain the
16 system and there would be operation and maintenance of
17 that as well.

18 Alternative 1 is fairly similar, but is a
19 less aggressive approach towards capturing the
20 contaminants within SMA's 2 and 3. So we have a
21 similar containment system that would be built, so it
22 would be the same sort of isolation system. But in
23 this case we would just place the cap. There would not
24 be DNAPL recovery. And the hydraulic control in this
25 case would rely on, there's already some seams or

1 leakage through the sheet pile and it would be relied
2 on to control the water within the isolated cell.

3 EPA did not recommend this because we think
4 that there are vast benefits in terms of long-term
5 effectiveness and permanence with removing and
6 destroying the DNAPL. And we think that going after
7 that is technically feasible and reasonable and doable.
8 So we think that Alternative 2 is a more robust
9 approach to treating the contaminants.

10 The third alternative in this case is, in all
11 cases, dredging the sediment. In this case very
12 similar to cartoons, a temporary ramp or road would be
13 built, dredging would occur, pulling material back out
14 of here. Now in this instance, unlike Sediment
15 Management Area 1 we have contaminants that are sitting
16 right on top of the till.

17 And we believe that based upon experience of
18 a number of other sites that we would have relatively
19 highly contaminant residuals left behind. This
20 material is an oily product and it is not going to be
21 completely removed by dredging. So there would be
22 residuals.

23 Now one of the things that we talked about at
24 other meetings is, we're showing that there would be
25 some hiccup to the water column from dredging and we

1 believe that would be the case. We don't really
2 picture some of the things we might do to manage that
3 so we might have self curtains or a sheet pile, but if
4 we were to try to put them on a cartoon, you would
5 basically see a blank, so it's hard to picture that.
6 But there would be some controls that would be put in
7 place to try to manage the release to the water
8 itself.

9 In terms of the residuals, we would
10 anticipate managing those with a cap post dredging. We
11 did not recommend this alternative because EPA has
12 serious concerns about both the release to the water
13 columns and short-term effectiveness and that the
14 long-term residuals we would expect DNAPL to be
15 relatively highly contaminated and need management.

16 Now we're going to see a page, go a little
17 bit faster, Sediment Management Areas 4 and 5. In this
18 case we have primarily chlorobenzenes. In this
19 instance we find it sitting on top of the till. We
20 don't see the same pattern of highly contaminated
21 material throughout the sediment and sand column. So
22 we're targeting material at the bottom.

23 We did not find DNAPL in these areas, but I
24 want to point out that we did a pretty quick study last
25 year so there will be additional work to evaluate

1 whether there's DNAPL in Sediment Management Areas 4
2 and 5 -- recoverable DNAPL. Thank you, Al.

3 EPA's recommended alternative for these areas
4 would be to provide a cap. And in this case it would
5 be primarily an erosion protection layer so. Because
6 these are a little bit more in the center of the river
7 this would be a case where we may need to build a
8 temporary ramp in and then cap material would be
9 placed, again, to primarily prevent erosion. Because
10 if there is sufficient amount of cleaner sand on top of
11 it, we may not need the isolation in the form of a cap.

12 Alternative 1 in this case was monitor
13 natural recovery. As I mentioned for Sediment
14 Management Area 1 one of the processes is burial or
15 isolation. And in some cases there may be an argument
16 that burial has occurred here. But we don't know what
17 is really going on with the chemical constituents at
18 the bottom. And so we are not clear on some of the
19 processes that are acting on those. There may be some
20 sea crustation or degradation of those products over
21 time.

22 EPA did not prefer this because, again, we
23 have a lot of concerns with the uncertainty about what
24 might happen over time. And, also, we've seen that
25 certain parts of the river can be pretty mobile so we

1 wanted to make sure that the material that's there in
2 place stays in place above those contaminated areas.

3 And then finally, this is, again, the
4 dredging alternative. It's very similar to what you've
5 seen before. We would anticipate both residuals and
6 some releases to the water column that would be managed
7 by best management practices and some residuals that
8 would be managed by a cap.

9 Again, we didn't prefer this because we think
10 that the trade-offs between the effects of the
11 short-term actions, the releases, are not -- EPA does
12 not warrant this approach.

13 And finally, Sediment Management Area 6 is a
14 little bit of an odd ball in that both surface
15 contamination of ethyl parathion and deeper
16 contamination of recoverable DNAPL, but not really a
17 profile of contamination in between.

18 And so we are proposing to dredge and dispose
19 the ethyl parathion contaminant sediment, create a
20 containment system that we've talked about with a low
21 permeability cap with sheet pile and then provide both
22 hydraulic control treatment and DNAPL removal and
23 treatment. So to remove the ethyl parathion from that,
24 would create the isolation system, put in DNAPL
25 recovery wall.

1 Now this is a case we haven't really decided
2 if we do have highly contaminants, what's our best
3 option, but this would be a case where there would be a
4 well that recovers the water that's in among the
5 sediment, low permeability cap, and then manage the
6 water being pulled into the system through that
7 recovery or the hydraulic control.

8 Alternative 1 would target the ethyl
9 parathion sediment by dredging it, would remove the
10 DNAPL, would treat the DNAPL, but it would not provide
11 the hydraulic containment so that would be pretty
12 simple, this kind of a system.

13 And we did not recommend this as a preferred
14 alternative because we believe that the additional
15 protection as provided by containment system and
16 isolation system is valuable in terms of both the
17 long-term effectiveness of the project and managing the
18 material that's out there as we accomplish the removal
19 and treatment.

20 And finally, the last alternative for
21 Sediment Management 6 is dredge, dredge the whole area.
22 And again, similar to what we've seen before EPA has
23 concerns with releases for column and residuals and did
24 not recommend this because of those concerns. A cap
25 would be placed over it and there you go.

1 Now all of the alternatives, the ones we're
2 recommending and whether we pick a different one, we
3 would need to do additional work including evaluations
4 as part of the design and engineering process that
5 would look at how big of the footprint of the area it
6 is, and whether there are additional, whether there's
7 DNAPL, additional DNAPL evaluation.

8 We would anticipate a lot of the work would
9 be done from Dow plant on temporary ramps. A lot of
10 the management of the material, whether it's management
11 to watering treatment, handling would be done at the
12 Dow plant to the extent that it's allowable.

13 Material would be disposed in an approved
14 site. And there would be, as I mentioned -- or I
15 didn't mention this, but there would be monitoring
16 during construction of the activities to ensure how the
17 short-term construction was going as well as longterm
18 monitoring and maintenance for the system.

19 Again, this is too busy to read it now, but
20 this is part of your fact sheet and, really, it's
21 comparing the SMA's, each of the alternatives against
22 the effectiveness, implementability and cost.

23 And what we're, from EPA's perspective,
24 differentiating is when we have highly contaminated
25 material on top of till, we think that there are both

1 effectiveness issues in terms of our ability to remove
2 that material but, also, implementation issues in terms
3 of the difficulty in construction.

4 When we have monitor natural recovery, we
5 have concerns in terms of the time it might take and
6 the reliability of the processes. And so that's some
7 of what went into the differentiation of these
8 evaluation criteria.

9 Finally, we believe that our alternatives
10 provide a balance of effectiveness, implementability,
11 and cost. We think that they will provide longterm
12 effectiveness and permanence by destroying and removing
13 the highly contaminated material and stabilizing and
14 isolating the remaining material. We think that there
15 will be minimal short-term effect and that they will be
16 technically reliable and feasible to build.

17 And then finally, switching gears, and I'm
18 sure that most of you know, we're in the middle of a
19 public comment period. EPA is running a comment period
20 from August 1st to August 31st. There's a number of
21 ways that you can submit comments.

22 One of them is official comments on the
23 record here tonight. But I know that most of you know
24 how to submit comments in writing and Pattie can
25 certainly highlight that if you don't see it in your

1 fact sheet. And then we will consider the public
2 comments we receive.

3 We may change the plan and finalize the plan
4 with the expectation that Dow will be designing the
5 work and ready to implement this next year. And that's
6 what I have for you.

7 So the next speaker tonight is Al Taylor from
8 MDEQ and he will speak on behalf, he's our project
9 coordinator counterpart, and will speak on behalf of
10 MDEQ. Thank you.

11 MR. TAYLOR: Mary asked me to make brief
12 comments about the proposed remedies. And I think it's
13 accurate to say that MDEQ is in agreement with the
14 proposed release based on the existing information we
15 have. There's, obviously, continuing work that's going
16 to be done over the next year to refine the footprints
17 of these Sediment Management Areas.

18 Also, we'll be working to determine if there
19 are additional Sediment Management Areas that have not
20 been identified. Just based on where we are in the
21 investigation I think we're in strong agreement that
22 the six areas that have been identified to date do need
23 to be addressed and it's important to get cracking on
24 this thing.

25 Couple things that Mary mentioned the last

1 time we talked about this, there's a couple of issues
2 that are being worked on parallel could effect this.
3 One is, there is continuing evaluation going on with
4 respect to sediment clean-up criteria. And the other
5 issue that is ongoing is the active sediment bed depth
6 criteria that is still being evaluated.

7 These SMA's are based on a two-foot active
8 sediment bed depth and additional work is being
9 conducted now, additional evaluation is being conducted
10 now to see if that two feet is adequately
11 representative of what we see in this river system.

12 Additional work is also ongoing to refine the
13 footprints of these SMA's. That's going to be going on
14 for the next year.

15 And I guess finally, there will be careful
16 coordination between the Circa program and the Ret-al
17 (ph) programs. As many of these to proposed remedies
18 rely on hooking into the Regis system, which is an
19 important primary source control component at the Dow
20 plant site. And whatever we do with that, we have to
21 make sure that we're not going to cause any potential
22 problem in the future. And I think everybody is highly
23 sensitive to that issue.

24 I think that's all I have.

25 MS. KRAUSE: Deb Huntley or I'm sorry, Judi

1 Lincoln from our, from the Community Advisory Program
2 is here.

3 MS. LINCOLN: I was asked to make a few
4 comments to remind everybody, although I think
5 everybody in the room has heard this before several
6 times, just reminding everybody of the CAG and the
7 purpose of the CAG.

8 The CAG was created as part of the agreement
9 between EPA and Dow and it was selected by a special
10 committee and was intended to represent a broad
11 cross-section of the community that the river
12 represents. So, of course, it involves Midland,
13 Saginaw, and Bay County.

14 We have tried very hard to establish
15 procedures and templates so that we are in a position
16 to comment when different projects are presented by the
17 EPA. And I think that we have focused and have
18 continued to try very hard to make sure that we give
19 voice to all opinions on the CAG. And we had a very
20 productive meeting last night and will be presenting a
21 comment.

22 The goal right now is to present it by the
23 end of the comment period. And we have a pretty
24 focused committee who's working on that. And a very
25 productive conversation and I believe that the, all of

1 the factors or issues, concerns raised by CAG members
2 will be included in that.

3 So we're all volunteers. We did this because
4 we're dedicated to our community and it really is a
5 good group of people.

6 MS. KRAUSE: Thank you, Judi. We'll take
7 questions and answers and then we'll take a brief
8 break. If you raise your hand, there's a microphone
9 over there and you can ask your questions. And after
10 that we will start the public hearing. Any questions?

11 UNIDENTIFIED SPEAKER: Mary, just for
12 clarification, EPA is recommending that the ethyl
13 parathion be removed, correct?

14 MS. LOGAN: Yes. In all of the alternatives
15 for Sediment Management Areas 6, ethyl parathion
16 removal would be an element.

17 UNIDENTIFIED SPEAKER: And is there, is there
18 a volume of DNAPL that can be defined in those
19 segments, I mean is there an actual volume?

20 MS. LOGAN: We don't have that estimate right
21 now. What we did in terms of part of the testing to
22 see if there was recoverable DNAPL is really just
23 simply sink some wells in the system and see if it
24 could be pumped out, but we do not have an estimate of
25 volume at this point.

1 UNIDENTIFIED SPEAKER: Can I keep asking
2 questions? I don't want to hog the microphone.

3 MS. LOGAN: People look like they're fighting
4 you to the microphone.

5 UNIDENTIFIED SPEAKER: I know. What makes --
6 and maybe I missed it, what makes the DNAPL
7 unrecoverable? I'm not -- you said it was hard to
8 recover. Is it depth or?

9 MS. LOGAN: It's the -- it could be the tar.
10 And I think I keep saying this wrong. We actually were
11 able to recover DNAPL from some of the Sediment
12 Management Areas so we were able to pump it and get it
13 to flow, but sometimes it's so viscous that it can't
14 flow or move. But in this case we found that we could
15 recover it. I think I'm miscommunicating it.

16 DNAPL in land base sites is notoriously
17 difficult to find because it's so heavy it kind of
18 follows gravity to where it's going to go. And then
19 once it's there it may bind up, but we did recover
20 DNAPL.

21 UNIDENTIFIED SPEAKER: Okay.

22 MS. LOGAN: That picture over there shows it
23 somewhat.

24 UNIDENTIFIED SPEAKER: I think that was it.
25 Oh, about the dredging part of it. As much as anyone,

1 I appreciate you're (inaudible) these items, I truly
2 do. But I'm wondering if in the option two dredge, can
3 you utilize vacuum dredging? I know there's a company
4 that's doing that out in New York Harbor. I had a
5 conversation with some folks from NRDC and they're
6 actually using a vacuum, they're putting drapes around
7 it with screen, but they're using the vacuum to do the
8 dredging to pull in, these were PCP's and Dioxins. But
9 I don't know if that's something that you would
10 consider.

11 MS. LOGAN: When we develop alternatives we
12 don't really specify what equipment's used. I know
13 that there's different products that the people in our
14 Great Lakes National Program also use, it's called a
15 vic-back (ph), that's probably similar to what you're
16 talking about.

17 What we're dealing with here is a thick
18 material where you have to go through it to begin with,
19 to get top multiple feet off.

20 We found that other projects, both the work
21 Reach D and then the work in Reach O, that there's a
22 fair amount of debris at the bottom of the river. So
23 what you're talking about is a vacuum, it sounds like
24 you have to have a flat surface, so we have to manage
25 debris in order to do that. And debris removal in and

1 of itself can cause resuspension or movement of the
2 contaminants.

3 We don't have an idea of how flat the till
4 is, but it could be something we could consider. The
5 problem we got is the types of projects that I've seen
6 where vic-back's have been used are not DNAPL. They're
7 contaminants, but also sediment particles themselves so
8 you're trying to capture the particle, not vacuum up
9 whatever.

10 UNIDENTIFIED SPEAKER: Okay. The other
11 question is you talk about the disposal of the DNAPL.
12 Where is -- where -- the treatment, I want to know
13 about the treatment of the DNAPL. Does that mean it's
14 not just the Regis, it could be burned, it could go to
15 a landfill, it could --

16 MS. LOGAN: This is not the till that can go
17 to a landfill.

18 UNIDENTIFIED SPEAKER: I didn't think so.

19 MS. LOGAN: One of the things that I know Al
20 mentioned I really appreciate, this is a project where
21 the state has left worker authority in terms of the
22 land based activity. So we would be working real
23 closely to see whether there was a permanent kind of
24 treatment, the destructive treatment at the Dow
25 facility; if there was not, we would look for

1 destructive treatment elsewhere, and that would involve
2 some kind of thermo.

3 UNIDENTIFIED SPEAKER: That's it. Thank you
4 very much.

5 MS. LOGAN: Thank you.

6 MS. KRAUSE: Anybody else for questions?
7 Let's take about a five-minute break and then we'll
8 start the public hearing.

9 (Break taken.)

10 MS. KRAUSE: We're going to start public
11 hearing, whoever would like to start the public comment
12 for the record.

13 MS. RIDDICK: My name is Michelle Hurd
14 Riddick and I'm with the Bay City based Loan Tree
15 Council. Thank you very much for the very detailed
16 presentation. We do appreciate it. And Loan Tree
17 Council will be forwarding public comments during
18 public council hearing. Thank you very much.

19 MS. KRAUSE: Anybody else? Okay, the public
20 hearing has formally ended. Thank you very much.

21 (Concluded at 7:14 p.m.)

22

23

24

25

1 STATE OF MICHIGAN)
) SS
2 COUNTY OF SAGINAW)

3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I certify that this transcript,
consisting of 31 pages, is a complete, true, and
correct record of the EPA public hearing held on
August 16, 2011.

I also certify that I am neither counsel
for nor related to any party to said action nor in any
way interested in the outcome thereof.

Joanne Kendall, CER-5687
Notary Public, Arenac County
My Commission Expires: July 30, 2012