

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

UNITED STATES
ENVIRONMENTAL PROTECTION AGENCY

PESTICIDE PROGRAM DIALOGUE
COMMITTEE MEETING

MAY 2, 2018

Conference Center - Lobby Level
2777 Crystal Drive
One Potomac Yard South
Arlington, VA 22202

1 P R O C E E D I N G S

2 - - - - - -

3 MR. KEIGWIN: Good morning. Thank you for
4 joining us. Before we get going on the day, I
5 wanted to turn the mic over to Charlotte Bertrand
6 for some opening remarks.

7 MS. BERTRAND: Good morning, everybody.
8 It's a real pleasure to be here today. The last
9 time I was here, I had just started my position.
10 It's good to see you all again, now that I'm
11 learning a little bit more about the program and the
12 issues.

13 So I wanted to start by -- and talk a little
14 bit about thanking all of you for your time, and I
15 especially want to welcome and thank the members of
16 the PPDC. We know, I know your time is valuable.
17 We appreciate very much the time that you invest
18 here, the input you provide and your service to the
19 committee. I also want to thank Dea Zimmerman and
20 the Office of the Pesticide Programs staff. I know
21 you all worked extremely hard pulling this together
22 and so it's going to be a great meeting and it's

1 thanks to all of the work that Dea and the OPP
2 program staff did today to pull the agenda together.

3 So I'm going to be here briefly this
4 morning. I'll see you all again tomorrow, but I
5 wanted to welcome you here, start the day off, say
6 hello and to give my personal thank you for your
7 time before I turn the reins over to Rick who is the
8 Office of Pesticide Programs director and as you
9 know, the PPDC chair.

10 So like I said, it's been, I guess I started
11 in October so it's been about six months since I've
12 been acting in my position, but it's definitely not
13 the first time that I've been engaged in dialogues
14 and stakeholder involvement. I've been at the EPA
15 for 21 years, and over the course of those years, it
16 has definitely been my experience that stakeholder
17 input and participation is extremely valuable to us.
18 We can't do this alone. Stakeholder input and
19 participation is something that's not a single
20 event. It's a process.

21 And so part of that stakeholder input are
22 the federal advisory committees that play a critical

1 role in providing the valuable input to guide our
2 policy-making at EPA. And federal advisory
3 committees like the PPDC enable us to tap into
4 expertise and in this case with experience in
5 agriculture, labor, public interest, animal
6 protection, business and manufacturing.

7 So I want to say, I was very impressed. I
8 asked before I came here, I said how long has the
9 PPDC been a federal advisory committee? And I
10 learned this committee was formed in 1995. So what
11 a testament to the value that this committee
12 provides us, that 23 years later we are still
13 sitting at a table and EPA is still benefiting very
14 much from your valuable input.

15 So I know that OPP following these meetings,
16 we consider your input and your comments on our
17 actions. We know that this is one of our more
18 effective forums for discussion, giving us the
19 opportunity to gather individuals from different
20 perspectives and experience in one room, present
21 issues and updates, field questions and collect
22 valuable and thoughtful feedback.

1 So I also want to acknowledge that while
2 there's face-to-face meetings, the PPDC extends
3 beyond the input that you're going to provide us
4 today and tomorrow, that twice a year you gather
5 here, but it's not the only time you weigh in on
6 these issues and other issues. So just as you
7 dedicate your valuable time outside these meetings,
8 the reading back on documents to prepare or
9 providing insights on subsequent workgroup meetings,
10 we continue to work on the issues and your input
11 well after this meeting has ended.

12 So one example that I wanted to draw out is
13 that PPDC's 21st Century toxicology workgroup was
14 established to inform and engage stakeholders early
15 on in OCSPP's approach to evaluating invitro
16 technologies and computational sciences and those
17 will replace and supplement some of the more
18 traditional methods of animal toxicity testing and
19 risk assessments. So in the later years, a
20 workgroup weighed in on goals and metrics for
21 success, and ten years since that workgroup started
22 through the PPDC, OPP is still making great progress

1 and is continually engaged in this space.

2 So today you'll hear an update on our
3 progress towards non-animal alternative testing for
4 acute 6-pack studies -- we'll see if I can talk
5 above the sirens -- as well as an update on our
6 pivot to include ecological toxicology studies in
7 this effort. More broadly, these efforts help lay
8 the groundwork for OCSPP's move towards alternatives
9 to animal testing. So that ten years of input
10 really helped and what started ten years ago has
11 really, we're seeing the benefits today.

12 Last month OCSPP released a draft policy to
13 reduce the use of animals in testing chemicals to
14 evaluate whether they cause an allergic reaction,
15 inflammation or sensitization to the skin. In March
16 OCSPP's Office of Pollution and Prevention and
17 Toxics released a draft of alternative strategies to
18 promote the development and implementation of
19 alternative test methods and strategies to reduce,
20 refine and replace vertebrate animal testing as
21 required under the new TSCA laws. PPDC's role in
22 the early coordination of OCSPP's 21st Century

1 toxicology efforts was critical in taking our first
2 steps towards these major changes.

3 So again, I just want to thank the group.
4 Your input is very valuable. Your input is long
5 term and it's helped us shape our policies so it's
6 very much appreciated. I look forward to hearing
7 more about how things are today, I can't stay with
8 you today, and seeing you all again tomorrow.

9 So with that, let me turn it back over to
10 Rick to walk you through the rest of the agenda and
11 start off a good discussion.

12 MR. KEIGWIN: Thanks, Charlotte. Really
13 appreciate that.

14 I wanted to acknowledge before we got going
15 a few new faces here in the Office of Pesticide
16 Programs. The first I wanted to recognize is Ed
17 Messina, who is to Charlotte's right. Ed has joined
18 OPP about two and a half weeks ago now as the acting
19 deputy office director for programs. He joins us
20 from a lot of time at EPA from the Office of
21 Enforcement and Compliance Assurance and several of
22 you may know Ed from his time in OECA. So we're

1 thrilled to have Ed with us.

2 We also have with us today Hema Subramanian
3 who is the agency's acting special assistant for
4 agricultural policy. Hema's up there.

5 And then she could not be with us today but
6 recently Anita Pease has been named the acting
7 director of our antimicrobials division. Anita most
8 recently was the acting deputy director of our
9 biological and economic analysis division and for
10 many years, served in a number of capacities,
11 including the deputy director role in our
12 Environmental Fate and Effects Division. So those
13 are probably our biggest changes here
14 organizationally within the Office of Pesticide
15 Programs since we met last.

16 If I can just quickly walk everyone through
17 the agenda for today and tomorrow. We're going to
18 -- after we do introductions and some housekeeping,
19 we're going to provide you all with an update on our
20 progress in meeting our obligations under the
21 Pesticide Registration Improvement Act. Steve
22 Schaible who is the PRIA coordinator will lead us

1 through that.

2 After the break, we want to share with you
3 our progress in moving some more electronic tools
4 for doing some of our work, so Patricia Parrott from
5 the Field and External Affairs Division will lead a
6 session on what we're currently calling the
7 SmartLabel project, as well as the electronic
8 confidential statement of formula.

9 Then after lunch, we want to provide you all
10 with some updates and get some input from you all on
11 -- in a couple of areas. One is, actually they both
12 relate to what Charlotte was talking about, part of
13 our efforts to move towards non-animal alternatives
14 for testing chemicals. So we will provide you first
15 with an update on our efforts to reduce and remove
16 certain studies from the Acute 6-pack and then
17 secondly, Kimberly Nesci from our Environmental Fate
18 and Effects Division will give you all an update on
19 some of the new approaches that we're looking at to
20 do something similar on the ecological risk
21 assessment side.

22 And then we'll end the day today with some

1 updates on some of the work going on in our
2 biopesticides division regarding novel mosquitos and
3 biopesticides. And then Yu-Ting Guilaran will wrap
4 up the day with a registration review update. And
5 then we will have an opportunity for public comment
6 at the end of the day. Those are -- the members of
7 the public that would like to provide public
8 comment, you should register at the desk that you
9 saw when you came in, please.

10 Then tomorrow morning, Marietta Echeverria,
11 our director of our Environmental Fate and Effects
12 Division, will give us an Endangered Species Act
13 update and OPP's efforts in that arena. Wynne
14 Miller from our, from our Biological and Economic
15 Analysis Division will be sharing with you all some
16 thoughts that we have on our communications plan on
17 resistance management and we would like to get some
18 input from you there.

19 And then Arnold Layne will lead as session
20 debriefing us on the progress by the public health
21 workgroup and Julie Spagnolli, who is a workgroup
22 member from that workgroup, will be assisting in

1 that presentation. And then we'll discuss next
2 steps and possible topics for our fall meeting.

3 So since our fall meeting, we have had a
4 couple of membership changes. Cynthia Palmer who
5 had been with the American Bird Conservancy has
6 resigned from the committee, and then Rachel Calles,
7 who had been with SC Johnson, and Preston Peck who
8 had been with Toxic Free North Carolina, had moved
9 to new employers that are now either outside the
10 scope of OPP's work or moved to a different
11 viewpoint all together. Cynthia or excuse me,
12 Sylvia Palmer from the Council of Producers and
13 Distributors of Agro Technology has joined the
14 committee, although I believe she's not able to join
15 us here today.

16 Some other housekeeping issues, hopefully
17 everyone has signed in at the registration desk. If
18 you have not, please do so at the break. In terms
19 of when we turn things over to the committee for
20 feedback, the same system that we've used. Turn up
21 your tent card, make sure the light on your
22 microphone has turned red when it's your turn to

1 speak and then turn that back off when you are
2 finished with your remarks.

3 We do have some members of the PPDC that are
4 participating remotely today, so after we've gone
5 around the room for PPDC members to give their
6 remarks or their questions, we will open things up
7 for members who are on the phone. We are
8 controlling the muting and unmuting, so please do
9 not unmute your phone remotely unless we ask you to
10 do so.

11 We heard the sirens during Charlotte's
12 remarks, so in the event of an emergency over here
13 by Dea, Dea will move first but there is an
14 emergency exit here so that you don't have to go out
15 -- there are other emergency exits but this is the
16 primary one. As I guess as they say on the plane,
17 look for the closest exit door. It may be behind
18 you.

19 And finally, I just want to say we're really
20 looking forward to today's discussions. We
21 acknowledge that some of the issues that we'll be
22 discussing today, there is not going to be agreement

1 across the committee. That is fine and we welcome
2 that. We only gain in our deliberations internally
3 from a robust discussion amongst all of the PPDC
4 members and we believe that a range of feedback
5 helps to further inform our decision-making.

6 So we do appreciate the time that you all
7 are taking out of your very busy days over the next
8 day and a half to be with us, and for many of you
9 who have traveled from out of town, we're really
10 talking about probably a week all together and that
11 really means a lot to us. So thank you.

12 With that, why don't we do introductions. I
13 will start to my left.

14 ATTENDEE: Good morning, Arnold Layne,
15 deputy office director for management in the Office
16 of Pesticide Programs.

17 ATTENDEE: Steve Schaible, Office of
18 Pesticide Programs, PRIA coordinator.

19 ATTENDEE: Eric Hoffman, Armed Forces Pest
20 Management Board.

21 ATTENDEE: Charlotte Liang, U.S. Food and
22 Drug Administration, Office of Food Safety.

1 ATTENDEE: Eric Gjevre, Tribal Pesticide
2 Program Council, Coueur d'Alene tribe.

3 ATTENDEE: I'm Tim Tucker with the American
4 Beekeeping Federation.

5 ATTENDEE: Good morning, I'm Amy Liebman
6 with the Migrant Clinicians Network.

7 ATTENDEE: Donny Taylor with the Ag
8 Retailers Association.

9 ATTENDEE: Amy Asmus with the Weed Science
10 Society.

11 ATTENDEE: Charlotte Sanson with ADAMA USA.

12 ATTENDEE: Steve Bennett with the Household
13 and Commercial Products Association, formerly known
14 as the Consumer Specialty Products Association.

15 ATTENDEE: Komal Jain with the Biocides
16 panel of the American Chemistry Council.

17 ATTENDEE: Andrew Thostenson with the
18 American Association of Pesticide Safety Educators.

19 ATTENDEE: Damon Reabe with the National
20 Agriculture Aviation Association.

21 ATTENDEE: Liza Fleeson Trossbach, the
22 Association of American Pesticide Control Officials.

1 ATTENDEE: Jay Vroom, CropLife America.

2 ATTENDEE: Andy Whittington, Mississippi
3 Farm Bureau Federation.

4 ATTENDEE: Aaron Hobbs, RISE.

5 ATTENDEE: Nina Wilson with Gowan
6 representing the Biological Products Industry.

7 ATTENDEE: Domenic LaJoie with the National
8 Potato Council.

9 ATTENDEE: Dan Kunkel with the IR-4 Program.

10 ATTENDEE: Lori Ann Burd, Center For
11 Biological Diversity.

12 ATTENDEE: Nichelle Harriott, Beyond
13 Pesticides.

14 ATTENDEE: Jim Fredericks with the National
15 Pest Management Association.

16 ATTENDEE: Stan Cope, American Mosquito
17 Control Association.

18 ATTENDEE: Good morning, Leyla McCurdy with
19 the Children's Environmental Health Network.

20 ATTENDEE: John Gorman, EPA, Region 2.

21 ATTENDEE: Gina Schultz, Fish and Wildlife
22 Service.

1 ATTENDEE: Sheryl Kunickis, I'm the director
2 in the Office of Pest Management Policy at the
3 United States Department of Agriculture.

4 ATTENDEE: Ed Messina, acting deputy office
5 director of --

6 ATTENDEE: Charlotte Bertrand, acting
7 principal deputy assistant administrator for OCSPP.

8 MR. KEIGWIN: I indicated we had some
9 members on the phone, so PPDC members who are
10 participating remotely, could you introduce
11 yourselves, please?

12 (Pause.)

13 I believe we should have Sharon Selvaggio
14 participating over, via teleconference. Is Sharon
15 available?

16 (Pause.)

17 MR. KEIGWIN: Iris erFigueroa, or Pat Bishop?

18 Perhaps I would check to see if anybody on
19 the phone can hear what we are saying here around
20 the table?

21 ATTENDEE: Can you hear me now? This is
22 Sharon Selvaggio.

1 ATTENDEE: Can you hear us now?

2 MR. KEIGWIN: We can hear you now.

3 ATTENDEE: Okay, it's Pat Bishop from the
4 Humane Society.

5 MR. KEIGWIN: Thanks, Pat.

6 ATTENDEE: Hi, it's Iris Figueroa from
7 Farmworker Justice. Good morning.

8 MR. KEIGWIN: Good morning, Iris.

9 ATTENDEE: And Sharon Selvaggio from the
10 Northwest Center for Alternatives to Pesticides.

11 MR. KEIGWIN: Thanks, Sharon, welcome. I
12 know it's early for you.

13 ATTENDEE: Yes.

14 MR. KEIGWIN: So with that, I believe those
15 are the only PPDC members that were participating
16 remotely, okay.

17 With that, I think we can move on to our
18 first topic which is --

19 I'd ask Steve Schaible who is our PRIA
20 coordinator to walk us through the presentation.
21 The presentation for this should all be in your
22 materials for the PPDC members. For those

1 participating remotely, all of the presentations are
2 available on the agency's website for the Pesticide
3 Program Dialogue Committee.

4 So Steve, let me turn things over to you.

5 MR. SCHAIBLE: First of all, good morning,
6 and I am going to run you through some of our
7 performance metrics for PRIA through the midyear of
8 our fiscal year 2018. I'm a technological black
9 hole.

10 So just to run through quickly what I want
11 to talk about, we'll do a brief update on PRIA 4
12 which would be the next reauthorization of PRIA and
13 we will get into some of the numbers. We'll talk
14 about the PRIA submissions that we've received so
15 far to date, as well as our completion. We'll talk
16 about some of those completions, the negotiation
17 rate of those and our on-time completions.

18 Then we'll briefly touch on the fees
19 collected but maintenance fees as well as PRIA fees,
20 electronic submissions and our progress in moving
21 towards receiving as much as we can electronically.
22 Electronic label reviews, reviewing things

1 electronically and then finally the 45/90-day
2 preliminary technical screen under PRIA and sort of
3 what has been the activity and performance under
4 that. And then the last is just points of contact
5 for PRIA, should you have any questions.

6 So next slide, please.

7 For the PRIA summary, we are still under
8 PRIA 3. For a while there, we were getting
9 reauthorized on one and two-month increments. With
10 the Consolidated Appropriations Act that passed back
11 in March, we are -- PRIA 3's expiration date was
12 extended through the end of this fiscal year so
13 through September 30, 2018. The PRIA 4 bill that
14 was introduced in the House and passed in the House
15 last March and advanced to the Senate and passed out
16 of the Senate Ag Committee is still pending.

17 The Farm Bill that was recently reintroduced
18 in the House, HR 2, does include a provision
19 enacting the House version of PRIA 4 should the Farm
20 Bill pass and that would, that version, the House
21 version reauthorized PRIA through fiscal year 2023.
22 The version pending in the Senate, the amended

1 version in the Senate reauthorizes PRIA through
2 2020.

3 Next slide, please.

4 As far as what we've received and what we've
5 completed, I don't know if you're going to be able
6 to easily look at these numbers but the light blue
7 on the left side is going to be the number of
8 primary applications that have been received.
9 Across the bottom, we have antimicrobial actions,
10 biopesticides, conventionals, inert ingredient
11 actions as well as miscellaneous actions.

12 The yellow is the number of completed
13 decisions. And so within a decision, there's
14 primary decisions and secondary decisions. The
15 primary decision is basically counting the action
16 once, even if there are a number of associated, for
17 instance, new product registrations associated with
18 that new chemical submission. You send in a new
19 chemical. There is, you know, a technical product
20 and five end use products and there's tolerance
21 decisions, so that's seven PRIA decisions. And so
22 the primary counts that new chemical once instead of

1 seven times, so just to clarify that.

2 So the gray is the primary. And then the
3 dark blue are the number of those completed
4 decisions in which there are one or more
5 negotiations of the original PRIA due date. So with
6 that explanation, and again this is through the end
7 of March 31st, so this is the first half of our
8 fiscal year.

9 For antimicrobials there were 132 primary
10 applications that were received through the first
11 two quarters. There were 173 completions and of
12 those, 139 of those were primary decisions and two
13 of those were involved in negotiation of the PRIA
14 due date. So in the big picture, it looks like we
15 were receiving about as many as we were completing
16 in primary decisions and the negotiation rate is
17 quite low for that.

18 For biopesticides, there were 74 primary
19 applications submitted. There were 84 primary and
20 secondary decisions completed. 63 of those were
21 primary decisions and there were 12 negotiations.

22 For the conventional pesticides, there were

1 419 primary decisions that were submitted -- or
2 received by the agency. There were 517 completions
3 through the first two quarters. 414 of those were
4 primary decisions and there were 136 negotiations of
5 the due date associated.

6 For inerts, there were 29 applications
7 received, there were 19 completed and all of them
8 were primary decisions. And of those 19, 11 of them
9 involved in negotiations of the PRIA due date.

10 And finally for the miscellaneous, the
11 lion's share of these miscellaneous actions are
12 going to be requests for gold seal letters, so
13 that's documentation that the product is currently
14 registered with the U.S. EPA and that documentation
15 is sent to other countries. There were 278
16 miscellaneous categories received, 275 of those --
17 well, there were 275 completions. All of them were
18 primary decisions. There were no negotiations
19 involved with any of the miscellaneous categories
20 that were completed.

21 Next slide, please.

22 This slide talks about our rate of

1 negotiation and it starts historically, it starts
2 with 2010. We've been under PRIA 3 since 2013. And
3 so you can see up towards the top of this, we're
4 looking at 35 percent, 60 percent, 26 percent, and
5 you can sort of see a trend over time of how the
6 current fiscal year relates to previous fiscal years
7 in terms of negotiations.

8 I'm going to talk specifically about FY18
9 only. For the antimicrobials, again, there were two
10 negotiations and that represents 1.2 percent of the
11 total completions that they had for the first two
12 quarters of this year. And that's quite low
13 compared to historic performances here.

14 So the biopesticide, there were 12
15 negotiations out of 84 completions for 14 percent
16 negotiation rate. For the conventionals, there were
17 517 completions and of those, 136 were negotiated,
18 so that's a 26 percent negotiation rate. Again for
19 miscellaneous, there were no negotiations so that's
20 zero percent.

21 And for the inert ingredients, 11 of the 19
22 completions involved one or more negotiations. And

1 so that is 58 percent. And I know that for the
2 inert ingredients, these were first introduced in
3 PRIA 3. I think we have better information now on
4 what are the resources and the timeframes that go
5 into reviewing those inert ingredient applications
6 and PRIA 4 proposes modifications to those
7 timeframes and fees that will hopefully if passed,
8 would hopefully bring these negotiation rates for
9 inerts down lower.

10 Overall for the office through March, we are
11 at a 15 percent negotiation rate. Last year I think
12 we ended up at 15 percent as well. So we're pretty
13 much within the framework of the last three years of
14 our performance as far as the negotiation rate.

15 Next slide, please.

16 Okay. In terms of on-time completions, this
17 is the percentage of our completions on which the
18 PRIA due date or the negotiated due date was met by
19 the agency. So for the antimicrobial division,
20 there were no completions so far this fiscal year
21 which did not meet or beat the PRIA due date. So
22 they're at 100 percent.

1 For biopesticides, likewise. All of their
2 completions have been before or on the PRIA due
3 date. There have been two completions for the
4 conventionals that did not meet the PRIA due date
5 and so that on-time completion rate is 99.6 percent.
6 For the inerts, there have been no late completions.
7 For miscellaneous, there has been one missed action,
8 a gold seal. And so they're at 99.6.

9 And so overall for the office, there have
10 been three decisions out of 1,068 that did not meet
11 or beat the PRIA due date, and so our on-time
12 completion rate for the office is 99.7 percent. I
13 will say this is better than we have been
14 experiencing historically and I would say quite
15 commendable, I think, given some of the resource
16 constraints that we're under.

17 Next slide, please.

18 These are the fees that have been collected
19 to date for both the PRIA fees and the maintenance
20 fees. The maintenance fees are invoiced in the
21 autumn and the due date for submitting those
22 maintenance fees is in January and then there's some

1 slow trickle once you get beyond January. These are
2 annual fees that are paid to support registrations
3 with the agency. These fees go to support
4 reevaluation activities, review of new products,
5 amendments that are substantially similar, inert
6 clearances and then IT improvements for the office.

7 The PRIA fees, of course, are paid at the
8 time of the application, the application is
9 submitted. So to date, well, through April 19th,
10 PRIA fees collections were at \$9.58 million, and I
11 actually as of a week later, they were up to 9.8
12 million. Last year we collected after refunds were
13 taken into account, we collected around 18 million.
14 And so we are on target to collect, you know,
15 assuming you have the same degree of collection in
16 the second half of the year, we're on target to
17 collect 18 million or possibly more.

18 On the maintenance fee side, the PRIA 3 has
19 a collection target of 27.8 million for the year.
20 Through April 19th and likewise, I checked the
21 numbers as of April 26th, and we've collected 27.76
22 million in maintenance fees so far. We're pretty

1 close to the \$27.8 million goal or target.

2 Okay. This next slide has to do with
3 electronic submissions. It was going on three years
4 come September that the portal was made available
5 and that was a secure web-based means by which
6 applicants can submit their applications to the EPA.
7 Prior to that, our electronic submissions involved
8 CD's and DVD's being submitted to the agency. And
9 so this lays out the number of paper submissions we
10 were receiving, the number of submissions on CD or
11 DVD and the number of submissions that are being
12 submitted through the web-based portal.

13 Likewise, these submissions take into
14 account both PRIA and non-PRIA submissions and they
15 take into account all submissions. So these could
16 be resubmissions of additional information, not just
17 the initial application.

18 For conventionals, the total number of
19 submissions is 3,855. Of those, 1,943 were
20 submitted on paper. That's 50 percent overall.
21 There were nine submissions on CD or DVD or less
22 than 1 percent, and 1,903 were submitted through the

1 portal or 49 percent. So half of the submissions
2 are coming in electronically and then half in paper.

3 And just as an aside, I will say there are
4 certain types of actions that might make sense to
5 submit one way or the other. Especially if you are
6 an infrequent user of the portal, I think that the
7 challenges of getting set up in the portal and
8 understanding the portal and remembering what your
9 password is, you know, I think a lot of people just
10 think it's a one-page gold seal letter request or
11 something, they just go ahead and send it in paper.
12 But I think we are looking to improve the customer
13 experience around the portal in general.

14 For antimicrobials, the total number of
15 submissions was 1,260. Of those, 402 were in paper
16 or 32 percent. There was one CD or DVD submission,
17 less than 1 percent. And then 68 percent were
18 submitted through the portal.

19 For biopesticides, there were 542 total
20 submissions. Of those, 250 were in paper, 28 were
21 on CD or DVD and 264 were using the portal. So 46
22 percent in paper, 5 percent on CD or DVD and 49

1 percent through the portal.

2 Overall, we were at 46 percent of our total
3 submissions are submitted on paper, less than 1
4 percent on CD or DVD, and 53 percent being submitted
5 through the portal. And I think we are seeing still
6 a gradual and slow increase in the use of the portal
7 in terms of overall percentage of our submissions.

8 Okay. As far as electronic label reviews,
9 there was money set aside in PRIA 3 to -- for EPA to
10 develop certain IT capabilities and one of the
11 specific activities mentioned in the IT set-aside
12 was the development of software and the ability for
13 EPA to review labels electronically. I think in
14 terms of our overall objective of having a fully
15 electronic system of receiving applications,
16 reviewing applications internally and then providing
17 information back to you electronically, it's pretty
18 crucial. So the portal was the first step, stage of
19 that, that we need to be able to receive everything
20 electronically.

21 The label comparison software is a means by
22 which we can do our work electronically. I think

1 the idea is that if you are able to use this
2 comparison software, that represents an efficiency
3 for the agency. We're able to complete our work
4 more quickly and therefore, get decisions to you
5 more quickly.

6 And so this report basically gives us -- so
7 when a reviewer closes out an action, there's a
8 prompt in our system that says, was this label
9 reviewed electronically? Yes, no. If you say no,
10 it has a follow-up pop-up box that talks about if it
11 was not reviewed electronically, what was the reason
12 for that? And it gives the different reasons so
13 that we can understand sort of behaviors of our
14 reviewers and sort of respond to those concerns
15 where they exist.

16 And if you don't answer anything, that's
17 where you're getting the uncertainty, this range of
18 percentages. If you don't answer, then we -- our
19 numbers are more squishy and there's been a
20 concerted effort, there's actually a report that
21 addresses this range and I think our boundaries have
22 shrunk as a result of that.

1 So again, this relates to the label review
2 specifically, and I just spoke about the
3 uncertainty. So for RD, for the conventional
4 chemicals, the percent of labels that are reviewed
5 electronically range from 87 percent to 93 percent.
6 For AD, the antimicrobials, it's 89 percent to 95
7 percent, and for the biopesticides, the percent of
8 labels reviewed electronically is 76 percent to 88
9 percent.

10 Okay. Moving on to the preliminary
11 technical screen, this is a tool that was introduced
12 in PRIA 3. Depending on the timeframe, the PRIA
13 timeframe associated with the action, you either
14 have -- the agency has 45 days from the start of the
15 PRIA date or 90 days from the start of the PRIA date
16 to do a preliminary screen of the application. So
17 at the very front end, there's a 21-day completeness
18 screen and that's basically where EPA is just
19 looking to make sure that all the forms are there
20 that are supposed to be there, they're signed. The
21 11-3 screen is done for the data and your
22 confidentiality page is signed. So these are

1 basically the very basic things you need to do for
2 us, for the application to be complete.

3 That occurs in the first 21 days and that
4 precedes the start of the PRIA due date. Once the
5 PRIA due date starts, there's either 45 or 90 days
6 for the agency to get into the actual data, look at
7 the studies, any waiver requests and make a
8 determination on is there enough there in the
9 application that we should, based on this screen,
10 have some certainty that we could conduct a risk
11 assessment and make a regulatory decision.

12 EPA must complete the screen within that
13 timeframe. And usually if there are deficiencies
14 that are identified, a letter is sent from the
15 agency that's commonly called a ten-day letter.
16 That alerts the applicant of the deficiencies, and
17 the applicant has ten days from the receipt of that
18 letter to provide a response to the agency which
19 addresses the deficiencies that have been
20 identified.

21 And so I am going to -- and depending on
22 whether that response is adequate or not, we move

1 ahead with the review because the response addressed
2 the deficiencies. The applicant -- if it does not
3 address the deficiencies, the applicant has the
4 opportunity to withdraw the application or the EPA
5 can reject the application under the preliminary
6 technical screen.

7 So that's the whole process. So now I want
8 to walk through the pieces of it. This slide has to
9 do with the actions that have been completed the
10 screen. So these numbers aren't going to exactly
11 match up with our completions because some of the
12 screen numbers are things that have, you know,
13 recently been received and so it's a slightly
14 different window of time. This is looking at
15 everything that, for which a screen has been
16 completed.

17 Likewise, the agency has 45 or 90 days to
18 provide a response to the applicant. If the agency
19 has not done that, then the screen is deemed to have
20 been completed. And so those numbers, so if there
21 was no ten-day letter sent, basically there's no
22 deficiency, those numbers are counted here as well.

1 For the antimicrobials division, there were
2 140 screens completed. For biopesticides, there
3 were 88 screens completed through midyear. There
4 were 580 screens completed for RD, 29 for the inerts
5 group and 4 screens completed for miscellaneous.
6 And again, most of the miscellaneous actions that we
7 receive are gold seals. Gold seals have a one-month
8 PRIA timeframe and so there is no preliminary
9 technical screen that occurs for those and so that
10 low number there reflects that the gold seals are
11 not counted.

12 Okay. And so assuming there is one or more
13 deficiencies that are identified, the agency sends
14 out a ten-day letter. And so for the antimicrobials
15 division, there were nine ten-day letters that were
16 sent out. For biopesticides, there were 43 ten-day
17 letters sent out. 18 for the conventionals in RD,
18 and there were no ten-day letters sent out for the
19 inerts or for miscellaneous actions.

20 Okay. And then this next slide has to do
21 again with the results. As you can see, most of the
22 responses to the ten-day letters on the previous

1 slide addressed the deficiencies that were
2 identified. For the registration division, one
3 action out of the -- if I go back, out of the 580
4 actions that went through the screen, 18 had ten-day
5 letters sent and of those 18, there was one
6 withdrawal as a result of the deficiency not being
7 remedied and there were two rejections.

8 For the biopesticides, out of a total of 88
9 screens conducted, there were 43 ten-day letters
10 sent. Of those, there were three withdrawals as a
11 result and there were four rejections. And for the
12 antimicrobials, out of 140 screens completed with
13 nine ten-day letters sent, the deficiencies were
14 adequately addressed in all nine situations.

15 Here are some of the reasons, and so that we
16 can run a report that lists out all of the reasons
17 for all of the deficiencies, and here are some of
18 the reasons for our rejections and withdrawals and
19 this list quite honestly, having been doing this for
20 two years now, really doesn't change.

21 So the new product application was found to
22 be not substantially similar, either in the label or

1 in the formulation of the product to the cited
2 product. There were data deficiencies. Either they
3 were missing data or a rationale for not requiring
4 data was not found to be adequate.

5 Efficacy data, the efficacy data submitted
6 or not submitted did not support the claims that
7 were on the label. There were uncleared inerts in
8 the formulation or there was missing inert data. In
9 some cases, the inert ingredient is misidentified.

10 There are data matrix or data compensation
11 issues. The offer to pay wasn't checked, the cited
12 studies, you know, did not support the claims being
13 made. And then finally if there's a bridging
14 argument being made, the bridging argument was found
15 to be unacceptable.

16 And this last slide is just the PRIA points
17 of contact should you have any PRIA questions. I am
18 at the office level, and I am also helping out the
19 registration division to some degree while that
20 position remains vacant.

21 Aswathy Balan is also a resource within the
22 registration division for PRIA questions and if you

1 would like, I can provide that email as a follow-up.
2 Diane Isbell is the contact in the Antimicrobials
3 Division, and Andy Bryceland and Cara Finn are the
4 contacts within the Biopesticides Division. Thank
5 you.

6 MR. KEIGWIN: Thanks, Steve.

7 So let me open it up to members of the PPDC
8 who might have questions or comments.

9 Amy.

10 MS. LIEBMAN: Good morning. Thank you so
11 much for the update. I have a couple of questions
12 on your update. The first one is that at our last
13 meeting, you talked about the fact that there's
14 about a million dollars that PRIA sets aside in
15 order to address the worker protection
16 implementation activities and I am -- while it's
17 interesting to see your fees and the maintenance
18 fees and all of that, I'm curious as to why you
19 wouldn't have included any update on that. Because
20 there are many members that are interested in what
21 activities are funded by PRIA that are going to
22 worker protection. So that's my first question.

1 And then the second question that I have is
2 that last time you talked about the Pesticide
3 Education Resource Center or the PERC, which is a
4 PRIA-funded group to help with various worker
5 protection activities. And since our last meeting,
6 a Federal Court ruled that the certified pesticide
7 applicator rule is indeed in effect and that it's
8 unlawful to delay it. And so I'm just wondering
9 what EPA and PERC are doing with the PRIA money to
10 help with a very important worker protection
11 regulation that now is indeed, according to the law,
12 in effect.

13 MR. SCHAIBLE: Well, first of all, thank
14 you. And yeah, we did not include the worker
15 protection grant in the slides and we will do so
16 going forward. My understanding is that, so yes,
17 there's one million in worker protection that is
18 awarded annually. Then there's 500,000 for the
19 pesticide education and then there is the, what's
20 the third -- and then there's another \$500,000, what
21 is the third one? So there's \$2 million dollars in
22 the entirety. And is Kevin here or -- okay.

1 MR. KEIGWIN: Amy, thank you for pointing
2 out that we didn't include that in the slides and we
3 should have. What we will do is we will compile
4 that information today and we will have it available
5 to everybody for tomorrow's meeting.

6 MS. LIEBMAN: Great, thank you. And then
7 you can, I'd like to hear about the certified
8 protection, certified applicator rule.

9 MR. KEIGWIN: So do you want me to take that
10 one, Steve?

11 MR. KEIGWIN: So we have, you pointed out
12 the status of the litigation that was filed against
13 the agency regarding the rule-makings that we had
14 undertaken to change the effective dates. So the
15 effective date of the certification rule is now as
16 it was originally, March of 2017. States have and
17 tribes and other groups that have certification
18 programs have until March of 2020 to submit their
19 revised plans. In the meantime, their plans that
20 have been previously approved are the plans that are
21 in effect, and provided they submit their revised
22 plans by that March 2020 date, their previously

1 approved plan remains in effect while we go through
2 the process.

3 We have been working cooperatively with our
4 state regulatory partners and our tribal partners on
5 answering questions relative to what they need to do
6 as they work towards 2020. In the meantime, we are
7 continuing to work through the PERC to help in the
8 development of additional resources.

9 And then as we announced in December of '20
10 -- of last year, excuse me, we did announce that we
11 were undertaking a rule-making to reconsider the
12 minimum age provision in the final rule, and we are
13 expecting to issue that proposed rule for public
14 comment later this year. But in the meantime the
15 certification programs, as they have been in place,
16 are the certification programs that entities are
17 working under.

18 MS. LIEBMAN: And I just want to add, thank
19 you for that update. But what a shame, shame on
20 everybody, at EPA for reducing the minimum age.
21 That's just -- just shameful. You know, I can't
22 believe that a really solid, moderate step forward

1 in terms of regulation that has such an important
2 piece about a minimum age is now up for discussion,
3 and I'm not sure who supports that. I'm not sure
4 who around this table would support kids being,
5 applying pesticide. I'm not sure why that's good
6 for our environment. I'm not sure why that's good
7 for human beings.

8 And I think all of us should be scared and
9 the EPA is just certainly failing in its mission and
10 it's certainly failing the people who pick our food
11 and apply pesticides and they happen to be largely
12 underserved minorities.

13 MR. KEIGWIN: Steve?

14 MR. BENNETT: Thank you. Looking at the --
15 the renegotiations, especially with respect to the
16 conventionals, it seems to have shifted noticeably
17 from last year. I think last year was about 29
18 percent and this year is about 26 percent. I would
19 like to get an idea of what types of factors are
20 driving those, if it's just the types of
21 negotiations have changed, get a better idea of
22 what's driving those, where they're going and how

1 many are out there.

2 MR. SCHAIBLE: Okay. Thank you for that
3 question. I think for the negotiations, I think
4 that some of those are us working through a federal
5 register process and I think that we're starting to
6 see some better performance on that. That relates
7 to some of the negotiations. I wouldn't say looking
8 at -- I think that some of this quite honestly is
9 going to be that we are, our resources are less than
10 they were. I think that -- I think that, yeah.

11 I think we are down around 600 staff right
12 now. I think we were around 40 higher than that at
13 this time last year. I think this is sort of a
14 logical outcome of, you know, attrition and a lag
15 time in our being able to hire up qualified people
16 to fill that position.

17 MR. BENNETT: I'll do a follow-up then.
18 You're on-time rate went up in light of the, you
19 know, the resource constraints. I'm trying to
20 correlate the two of that perspective.

21 MR. SCHAIBLE: So on-time means that we met
22 or beat the original PRIA due date or the negotiated

1 date and so we're on time because we're negotiating.

2 MR. KEIGWIN: Steve, you look perplexed. Do
3 you have a follow-up?

4 MR. BENNETT: Yeah, I'm just not -- I'm not
5 sure if the date is reflecting the issue I'm trying
6 to get at, of whether the renegotiations are fully
7 reflecting the reasons why they're negotiated and
8 that's fully reporting, that's reflecting the
9 on-time. Because if you're having issues with the
10 resource constraints but you're on-time rate goes
11 up --

12 MR. KEIGWIN: Let me try to talk about it a
13 little bit. So when we say that something is on
14 time, we're saying that we met the statutory
15 decision timeframe, with or without a renegotiation,
16 okay. So even if we renegotiate and we meet, we
17 complete the action within that extended period of
18 time through the renegotiation, we're still on time.
19 And so you do have scenarios where your completion
20 rate goes up but your renegotiation rate also goes
21 up.

22 We've also had a number of scenarios, and we

1 saw this last year, that our on-time rate went up
2 and our renegotiation rate went down. I'll just add
3 that, you know, when PRIA 3 was designed, we
4 basically had a few hundred more people onboard than
5 we have now and so those timeframes were built off
6 of having onboards that we had at the time. Frankly
7 in my opinion since we are hovering now around 600,
8 that our on-time rate is as high as it is and our
9 renegotiation rate is as low as it is is a testament
10 to the dedication of the staff in the Office of
11 Pesticide Programs to try to meet these timeframes.

12 And we continue to look for process
13 efficiencies. That's one of the requirements in the
14 statute and we're continuing to look for those. But
15 as Steve was mentioning, the staffing challenges
16 right now have been difficult, and it's been hard to
17 find qualified applicants to come onboard when we
18 have been able to hire.

19 MR. KEIGWIN: Charlotte, then Nina, then
20 Jay.

21 MS. SANSON: Thanks, Steve, for the update.
22 And I guess related to the resource constraints that

1 you're dealing with, would be the experience that a
2 lot of registrants are having with non-PRIA actions
3 in terms of getting those through, through the
4 process. And so I was wondering if you could speak
5 to what the current track record is on non-PRIA's and
6 what can be done to try to help improve that side of
7 things?

8 MR. SCHAIBLE: Okay. I had not prepared any
9 of the fast track amendment or notification
10 statistics for this meeting, but I had run those
11 numbers in preparation for the last PRIA stakeholder
12 meeting that occurred in early March. And I would
13 say, without remembering the exact numbers, that I
14 think that we do have backlogs for the fast tracks
15 and for the notifications. I think as far as our
16 priority in terms of directing our resources that we
17 are, the PRIA actions have a higher priority than
18 the non-PRIA actions.

19 That being said, we are looking at ways that
20 we can provide decisions on the fast track actions
21 and the notifications in a timely fashion. We are
22 tracking internally what our performance is around

1 those and trying to bring those numbers down from
2 what they were.

3 MR. KEIGWIN: Nina, then Jay.

4 MS. WILSON: Thanks, Rick. I just wanted to
5 say that probably one of the process improvements
6 that's come about in the last couple years is the
7 technical screen, that I think has done a lot as far
8 as weighing down some of the renegotiations, some of
9 the issues. I mean we'd still like to see less
10 renegotiations but that's helped tremendously, is
11 that technical screen.

12 MR. KEIGWIN: Thanks, Nina.

13 Jay?

14 MR. VROOM: All right. The first thing I
15 would like to say is congratulations to the agency
16 staff for making the kind of progress against the
17 headwinds that you're facing and you've already
18 pointed out a little bit. I think you've
19 understated those headwinds considerably and I would
20 encourage all of us on the PPDC and others to think
21 about ways that we can help contribute to both the
22 operational creativity, some of which you have

1 internal at EPA and some of the advisory inputs and
2 other stakeholder input help to advance.

3 But I would like to just spend a little more
4 time at a future meeting really thinking about what
5 more could we be doing from the private sector and
6 the stakeholders around this table and others to
7 come up with creative ideas and processes to help
8 move the process even farther along. I'm
9 disappointed because I think about the kind of
10 discussion that I felt like we had had at the last
11 PPDC meeting about trying to help break the impasse
12 around getting PRIA released. It's still being held
13 hostage in the Senate and I thought there was
14 momentum at the end of that last PPDC meeting last
15 fall to see some progress and I just don't see
16 evidence of that.

17 A couple of questions that I would like to
18 get your feedback on. One is the omnibus has a
19 restriction on hiring that probably limits your
20 ability to use some of the additional taxpayer funds
21 that were appropriated in the omnibus for OPP. What
22 are the limitations and what are you able to do with

1 that money so far and through the end of the fiscal
2 year?

3 There's also an oddity in the existing PRIA,
4 I think is section 4K2, that has tied up about \$60
5 million dollars worth of industry fees. The
6 passage, although the passage of PRIA 4 should
7 release that 60 million, do you have a plan for
8 where those resources could go, assuming that the
9 prohibition on hiring as contained in the omnibus
10 were to go away?

11 Lastly, I would just say the complexity of
12 what OPP manages is amazing on every level and
13 again, compliments to the team that you've got in
14 place and the comments you made, Rick, earlier,
15 about the staff still having an incentive to get the
16 job done is very much appreciated and ought to be
17 something that the public knows more about.

18 MR. KEIGWIN: So thanks, Jay. So in terms
19 of your first question regarding some provisions in
20 the omnibus, the agency's operating plan is still
21 under review by the Office of Management and Budget.
22 So I'm somewhat limited in what I can say until that

1 operating plan has been approved, but we are looking
2 to see how we can maximize the utilization of fees
3 to support bringing onboard additional hires
4 consistent with the requirements in the omnibus.

5 In terms of the 4K2 provision, I think, you
6 know, in shorthand for those of you who are not
7 familiar with this provision, it's a provision that
8 has been in FIFRA for a number of years. I think it
9 dates back a few decades at least, and in lay terms
10 it essentially means that on the maintenance fee
11 side, to spend a dollar of maintenance fees, you
12 have to pair it with a dollar of appropriated
13 dollars. There's probably some legal nuance and
14 appropriations law nuance but that's how, that's how
15 I describe it to myself.

16 And so as, as the appropriated dollars have
17 declined in certain years for the office, it's made
18 it more challenging to fully utilize the maintenance
19 fee money, and many of you know, the maintenance fee
20 money is primarily utilized to support the
21 reevaluation program, the registration review
22 program. So we have been accruing balances from

1 year to year. PRIA 4 would have a provision to
2 remove that requirement to do the one-for-one
3 pairing.

4 It would also have some language relative to
5 expanding what activities within the office could be
6 funded using maintenance fee dollars. So we are
7 developing a plan. There's also a requirement in
8 the omnibus for us to meet regularly with the
9 appropriations committee staff to work through our
10 plan with them and so those meetings are in the
11 process of getting scheduled.

12 And then I forget what your third piece was,
13 so. I apologize.

14 MR. KEIGWIN: Lori Ann, and then Steve, were
15 you coming in for round two? Okay. So Lori Ann and
16 then Amy.

17 MS. BURD: Thank you. Senators Udall,
18 Harris, Booker and Blumenthal proposed a compromise
19 to PRIA reauthorization that essentially said hands
20 off the worker protection standards and
21 certification of pesticide applicator rules and also
22 asked this office to respond to concerns to the

1 abrupt face on chlorpyrifos, which we all of course
2 know causes brain damage in children. What, if any,
3 actions have this office taken to respond to their
4 concerns and compromise?

5 MR. KEIGWIN: So we are in routine contact
6 with Senator Udall's office and we have been
7 providing technical assistance to his office as he
8 has been requesting. And we will continue to do so.

9 MR. KEIGWIN: You go first and then I can go
10 to the phone.

11 MS. LIEBMAN: Yeah, I just wanted to clarify
12 that, you know, we used the term "held hostage",
13 PRIA is being held hostage a little while ago in
14 this discussion. And I think that you have to
15 understand a hostage situation really. And it's
16 not. It's simply we have senators who care about
17 kids, who care about the environment and are saying,
18 you mess with the worker protection standard, you
19 mess with some of these rules that are out,
20 important to protect our environment, important to
21 protect our workers, important to protecting our
22 children, we're going to put a hold on it. And it's

1 just, it's pretty simple.

2 So I think that the hostage situation is
3 arising in that EPA is messing with these rules and
4 you're putting out, you're going back to it and
5 we're going to see something in the Federal Register
6 that's going to talk about moving the minimum age
7 for when a child can apply pesticides. It's
8 unbelievable. So it's not really a hostage
9 situation. They're just standing up for human
10 rights. They're standing up for kids and they're
11 standing up for our environment.

12 MR. KEIGWIN: So I thought Amy Asmus just
13 put up her card. But let me first check on the
14 phone.

15 So Sharon, Iris or Pat, do you have a
16 comment or a question?

17 IRIS: This is Iris, I do, but I don't know
18 if others do as well.

19 MR. KEIGWIN: Well, Iris, you've got the
20 mic, so.

21 MS. FIGUEROA: Thank you. So I just want to
22 Follow up on some of the points that were made by Amy and

1 Jay and Lori Ann. As a farm worker organization, we
2 obviously are echoing these comments that it's
3 important to receive updates as well on the worker
4 protection component of PRIA. But I think, you
5 know, as has also been brought up, it's really
6 important not just for the current PRIA but for the
7 reauthorization. The whole reason behind the hold,
8 as has been clear from the beginning, was the
9 senators fear that the worker protection rules would
10 be rolled back.

11 And at the last meeting which Jay
12 referenced, I think to our credit, there was pretty
13 broad consensus about the reasonableness of these
14 provisions that had been identified for discussion
15 as controversial. So we were pretty perplexed when
16 in the letter that was sent to Senator Udall's
17 office, the agency characterized that discussion
18 very differently and then went ahead to, as you
19 mentioned, Rick, have a notice of a proposed
20 rule-making that's going to be happening soon.

21 So it seems that practically to move forward
22 with that rule-making and expect that the hold is

1 going to be taken off, when that was exactly the
2 fear that prompted the hold, is not a very realistic
3 proposition and if we don't address that, I don't
4 know how we can move forward.

5 MR. KEIGWIN: Thanks, Iris.

6 Amy.

7 MS. ASMUS: I just want to make a brief
8 comment from the field. I commend you for relooking
9 at the minimum age. We have excellent programs that
10 we work with in the field through 4-H and through
11 FFA programs, and when you move the minimum age to
12 18, we do a travesty to these kids because they're
13 not allowed to learn in a situation with wonderful
14 organizations like that how to correctly handle, how
15 to correctly apply and to do projects around what
16 they're going to go into the future.

17 And I don't really think we should repeal it
18 back to 14 or 15, but even to 16 would allow these
19 kids that are in an environment to learn and to get
20 hands-on learning under programs and excellent
21 mentors to teach them how to do it correctly. I
22 think it's very important that we look at repealing

1 that back, at least to the point where we can
2 properly train and work with and mentor our seniors
3 and juniors in the high school level and in these
4 wonderful programs.

5 MS. LIEBMAN: But can you clarify about the
6 rule that it's really for hired workers, and that's
7 where our concern is in that we're not talking about
8 4-H? Could you spend a little bit of time on that?

9 MR. KEIGWIN: This is when I wish Kevin were
10 here. Many of you may know, Kevin has had to be out
11 of the office for a few weeks.

12 So when we're talking about certification,
13 we're talking about people first off that are
14 handling restricted use pesticides. It does cover
15 commercial applicators in some states and I would
16 look to Liza to clarify this for me. I believe it
17 also would cover private applicators.

18 So I mean this is, the Amy Asmus' concern is
19 one that was expressed through various fora. I
20 think it came in in part as a comment in response to
21 regulatory reform. When we do issue the proposed
22 rule, we would invite everyone to submit their

1 comments and their feedback and their perspectives
2 and that will help to inform the final rule.

3 MS. LIEBMAN: Just to clarify, that we're
4 looking at the worker protection standard in this
5 rule. Are we or are we not talking about workers
6 that are hired? It's --

7 MR. KEIGWIN: I mean there is the provision
8 for family farms and family members on family farms
9 under WPS and there's a lower minimum age currently
10 under the finalized WPS rule that went into effect
11 in 2015.

12 MS. LIEBMAN: So if you have a family member
13 and you choose to have them do it, you're not hiring
14 them, then it's fine, but like if you hire someone,
15 it's not, correct?

16 MR. KEIGWIN: So as, under the WPS
17 standpoint, I think Amy might be talking a little
18 about certification. I'm not -- but I don't want to
19 put words in her mouth.

20 MS. ASMUS: A lot of our 4-H kids and our
21 FFA kids come from non-ag families and we really
22 need to encourage their, their interest in ag and

1 interest in ag fields. And some of them don't have
2 family farms in order to work on, and we really need
3 to encourage them and mentor them at that age. And
4 if they can't touch a third of what we apply, that
5 really takes them out of some of those programs and
6 projects that they're working towards. We can't
7 assume that just because they're a 4-H kid or an FFA
8 kid that they come from a farm family. We really
9 need to grow our pool of workers and we really need
10 to reach out to those kids that are interested in ag
11 and not necessarily growing up on a farm or in an ag
12 family.

13 MR. KEIGWIN: Okay. Aaron, then Leyla, then
14 Damon.

15 MR. HOBBS: Thanks. I just want to
16 reinforce the appreciation that we have for the
17 resilience shown by the agency in a very challenging
18 time with the inability for PRIA 4 to be passed.
19 You know, we have talked repeatedly about the
20 challenges as leaders and managers that you're
21 having and just appreciate the dedication that you
22 have, the things that you've done to improve the

1 program in a challenging political time.

2 And I guess my concern is all of the issuee
3 that are being discussed are important and need a
4 thoughtful response. And my concern is that two
5 issues have been linked and the result is
6 potentially the burning down of the house. To solve
7 an issue that if the agency isn't properly funded
8 and you don't have the resources you need to do your
9 job, the results would be significantly greater.
10 And so I'm just concerned that the house is burning
11 down with these two issues being linked and it
12 doesn't seem that those folks that are the most
13 engaged there are working towards a solution that
14 allows us to get PRIA moving forward.

15 So I just wanted to share that concern
16 again, reiterate my appreciation for all the
17 leadership within the program, for what you're doing
18 to keep your teams motivated and focused at a time
19 where attrition seems to be going in the wrong
20 direction for the life of the program, so thank you.

21 MR. KEIGWIN: Leyla, then Damon.

22 MS. McCURDY: Thank you. I have a question

1 for Amy Asmus, actually. It's a three-part
2 question. You said that the 4-H or similar programs
3 are a pathway for young people to get into
4 agriculture and for those kids who may not come from
5 families that are in agriculture, the only way to
6 train them for that type of career is to expose them
7 to pesticides, according to the way you spoke about
8 it.

9 So around that, here are my questions. How
10 long does it take to train someone? Number one.
11 And these kids, if they come into these programs,
12 how much are they exposed to pesticides? Thirdly,
13 isn't there a way to train them without exposing
14 them to pesticides? There are many, many training
15 programs I know that goes through the routine
16 without having kids touching hazardous materials.

17 MS. ASMUS: First of all, I would like to
18 say that we operate under the rules of our labels
19 and each of the labels have material safety data
20 sheets go along with them, and we're all trained in
21 protective equipment, PPE, that go along with it.
22 And so these kids, if they're working under, under

1 those label directions, their exposure to it is
2 minimal. Just like the workers that I put the
3 field, their exposure to it is minimal. All of that
4 safety stuff is listed on the use labels. And when
5 we follow that, we're limiting the exposure to
6 somebody who is 16 or to somebody that's 36. We all
7 want to operate under the same rules and limit
8 exposures to any of these pesticides.

9 And we do need to train them to use the
10 protective equipment that is listed on the label and
11 to apply them correctly. And if we do that, we work
12 really hard to minimize that exposure to anybody
13 applying pesticides, not just children.

14 MS. McCURDY: That only answers one of my
15 questions and not really to my satisfaction.
16 Because minimal exposure is still exposure and
17 children are more vulnerable to these types of
18 exposures. I don't need to show a chart to show you
19 why children are more vulnerable, et cetera. So the
20 other piece of my question was why couldn't that
21 training occur without actual exposure, actual
22 exposure, to minimal exposure? Couldn't you do your

1 training still but not actually have them be near
2 these hazardous materials?

3 MS. ASMUS: I believe training is a
4 life-long thing. I'm not an educator myself, but I
5 do believe we could give them book knowledge without
6 exposing them. But a lot of the projects that these
7 kids, 4-H kids work on through 4-H and FFA, the
8 application of the chemistry is only a very small
9 part of it. And the same thing with production. We
10 want to teach them the big picture of production and
11 this application is a small part of it. And so what
12 they learn through the application is how to apply
13 it correctly but once they learn and being hands-on
14 and truly involved in a project that this is a
15 portion of, is something you can't teach in a
16 classroom and it's not something that you can teach
17 in a book.

18 MS. McCURDY: I am not for this thing,
19 training without hands-on. Why can't they just use
20 water as a substitute for pesticide? You go still
21 through the training . It doesn't have to be the
22 toxic material that they need to be using for the

1 training. I mean if this is, you know, the premise
2 why we need to expose these kids to a pesticide,
3 that oh, we have to do the training with the real
4 material. What is the reasoning of the real
5 material there? Use the same exposure techniques,
6 go through your training but substitute some
7 non-hazardous materials in place of that. I mean it
8 seems like common sense and I would like to hear an
9 argument against this.

10 MS. ASMUS: I suppose we could for a sense
11 of time agree to disagree, and if you want to catch
12 me later, we can continue this conversation.

13 MS. LIEBMAN: I do think we need better
14 clarification from the Office of Pesticide Programs
15 here about the population that these regulations are
16 targeting. Because this discussion seems to have
17 gone a bit far field from what we are looking at in
18 terms of the worker protection standards and the
19 certified pesticide applicator rule which deals with
20 restricted use pesticides. I was involved with 4-H.
21 I don't see any need for a restricted use pesticide
22 to learn about agriculture when I'm 14 and 15.

1 So I really recommend that we take some time
2 at some point during this meeting so you can explain
3 the existing rule, particularly since you're going
4 to issue something in the Register to roll it back.
5 I mean it just, this is bizarre.

6 MR. KEIGWIN: So we do have some good
7 materials on our website and we can get that link
8 around to everybody, that provides sort of a basic
9 overview of the two rules as they are currently in
10 effect and would be in effect until and if changes
11 were made through our formal notice and comment
12 rule-making process. And so we'll get those
13 materials around to people before the meeting ends.

14 Damon.

15 MR. REABE: One point of clarification I
16 think on this particular rule is that there is a
17 current exemption for family members to be able to
18 get trained and handle restricted use pesticides at
19 the age of 16. And so just to refresh everybody's
20 memory, at the last meeting I pointed out that
21 aerial application companies are typically small
22 family-owned companies and we were interested in

1 having the provision of family members that applies
2 to farms be applied to our small businesses because
3 they operate much like farms. And so that's just a
4 little perspective I think on the comments that I
5 made at the previous meeting to kind of frame,
6 provide some framework of what was one of the
7 suggestions that was made.

8 MR. KEIGWIN: Andrew, at one point you had
9 your hand up. I didn't know if it had fallen down
10 or if you were --

11 MR. THOSTENSON: I just took it down because
12 I thought we were going to move on. But I am a
13 professional pesticide safety educator. I've been
14 educating pesticide applicators formally for about
15 22 years. It seems to me that we're kind of talking
16 across each other a little bit right now, but I can
17 assure you that in a formal training setting where I
18 have people in a classroom situation, I'm not using
19 live pesticides whatsoever in those events. I mean
20 it just doesn't make any sense.

21 On the other hand, there are times when
22 we're doing some sort of continuing education or

1 some sort of learning-by-doing exercise with an FFA
2 or 4-H project that may be outside of the venues of
3 a traditional training that it would be useful to be
4 able to actually use pesticides in those particular
5 situations. And I do know that that sort of thing
6 goes on. I don't have any qualms about that being
7 done, but as I said in a formal training situation,
8 we really wouldn't be using pesticides.

9 MR. KEIGWIN: Any last comments before we go
10 to break? Let me check one time on the phone for
11 Iris, Pat or Sharon.

12 MS. SELVAGGIO: Hi, this is Sharon. Can you
13 hear me?

14 MR. KEIGWIN: Yes, Sharon. Go ahead, thank
15 you.

16 MS. SELVAGGIO: Okay. Just a couple of
17 things I guess I wanted to comment on. First, you
18 know, in listening to the comments by Amy, you know,
19 she emphasized the need to encourage and mentor
20 young kids. And I have to agree with Amy Liebman
21 and some of the others here, Leyla, that, you know,
22 that's an important goal. Farming is a complex

1 business. There's a lot to it, and encouraging and
2 mentoring teenagers to engage in farming can happen
3 because there's a lot to teach. But it's not
4 necessary to expose teenagers to live pesticides at
5 that age when there is so many other ways and topics
6 that need to be explored. So I just, I don't really
7 buy that argument.

8 And I'm also recognizing that we do seem to
9 be a bit afield since this doesn't seem to be
10 covered, but it is a human safety issue that it
11 seems like there should be some kind of protection
12 for kids in a training situation, whether or not
13 they were hired workers, that they're not
14 inadvertently exposed to pesticides or other toxic
15 chemicals by people who are training them.

16 Just a question on the technical data, going
17 back to some of the stats that Steve covered. I was
18 struck, like some others were, about the sort of
19 performance metrics that Steve presented. Your
20 performance metrics are looking really good, even
21 though you have fewer workers working on this
22 particular -- on PRIA stuff. And it raises a

1 question for me about whether mistakes are being
2 made, you know, or if review is less stringent than
3 it used to be. Have there been any changes in
4 what's covered? So without being a registrant
5 myself, I'm not 100 percent clear on the data that's
6 being covered in these reviews and it would be
7 helpful to get just a brief overview of that. Thank
8 you.

9 MR. KEIGWIN: Thanks, Sharon. I think a lot
10 of the efficiency has come from our use of
11 electronic tools to review the label. If we were to
12 -- Steve, in one of his slides, presented the
13 percentage utility of some of our electronic label
14 comparison tools. If you were to look at our
15 percentage utilization of those tools from even a
16 couple of years ago, you would see that those ranges
17 that he presented were significantly lower. So
18 we're upwards of 80-plus percent in some cases, you
19 know, into the 90 percent utilization of the
20 electronic label tools.

21 And from the people who are doing the final
22 review and acceptance of the labels, in the past it

1 used to be a very manual process where you would
2 literally put the previously accepted label on one
3 side of you and the current or the pending label
4 before you, and you would go line by line with
5 rulers or fingers to figure it out. And now that
6 piece of it, very manually intensive, is now
7 essentially done by the computer. And then the
8 reviewers are then looking at where there are
9 differences to figure out if those differences are
10 ones that warrant further technical consideration or
11 ones that are acceptable to move forward. So that
12 tool in and of itself accounts for a great deal.

13 In the science divisions, and I think you'll
14 hear a little bit about this later today, a lot of
15 work has been done to reduce reliance on animal
16 testing and so we are starting to see either reduced
17 data coming in or alternative testing beginning to
18 come in that necessitates less science resources to
19 effectuate the same type of assessment and so we're
20 seeing some resource savings there as well.

21 We have hit 10:30, which was our target mark
22 for our break. Thank you all for this discussion.

1 We will reconvene at 10:45. Thank you.

2 (Break in proceedings.)

3 MR. KEIGWIN: Okay. So our next two
4 presentations that will take us, with questions, to
5 our lunch break will be updates on two of our
6 efficiency projects, one related to what we're
7 currently calling the SmartLabel and then a second
8 regarding making our confidential statements of
9 formula available in electronic and digitized form.

10 So let me first turn to Patricia Parrott,
11 who is acting as the senior advisor in our Field and
12 External Affairs Division. She's also our Homeland
13 Security advisor for the Office of Pesticide
14 Programs. Patty.

15 MS. PARROTT: Okay, good morning. Thanks,
16 Rick.

17 So I'm here to talk about SmartLabel. For
18 some of you, this, some of it might be a little
19 redundant and you've heard about it before, but I'm
20 going to start and kind of give an overview.

21 So our SmartLabel is our electronic
22 pesticide label and what we've done is we've

1 developed a way to bring it in as structured data
2 rather than a flat Adobe Acrobat file. And it's
3 part of our change and to utilize IT systems to help
4 us gain efficiencies in moving information around
5 and accessing the information.

6 So right now, our IT systems have developed
7 over time, like a lot of big companies or
8 bureaucracies, into these disparate systems that we
9 cobble together to work with each other but it's not
10 the most efficient process. So what we've done is
11 through developing SmartLabel, we partnered with FDA
12 and we built on their best practices that they
13 developed in changing their pharmaceutical labels
14 into an electronic, electronic label. And they've
15 been doing it for years.

16 So we used their standard, the HL7 standard,
17 which is an international standard that will allow
18 us to share information with agencies and other
19 health entities. This model is also expandable and
20 the idea is we envision that we will eventually
21 delve out and have a clean database that functions
22 as a single unit for all of OPP's information.

1 We had to start somewhere. We started with
2 the electronic pesticide label because that touched
3 every aspect of the program and also the ECSF.
4 Those are the beginning steps of getting our entire
5 IT transformation.

6 So this will just show you visually how the
7 information streams. The information will come in
8 electronically through a submission entry point. At
9 this time we're using the central data exchange
10 portal. A lot of you are familiar with that.
11 That's the agency standard. Then running validation
12 on the information before it goes into our database
13 that is modular in fashion and talks to each other,
14 which is the honeycomb, and then it goes into a
15 piece for electronic workflow. We're trying to move
16 away from the paper, like Rick said, going down line
17 by line.

18 We've made an interim step where we do
19 document compare with Adobe Acrobat and we're
20 envisioning moving to the fully electronic with
21 internal validation that can go in and make sure
22 that we have -- everything adds to 100, the

1 signatures are there, things like this, that are
2 very routine so that we can use our human resources
3 doing science review and things we really need to,
4 using automation where possible.

5 So in the summer of 2014 we solicited pilot
6 participants, partnerships to work with us and build
7 out our model and to test it, and these are the
8 companies that were selected.

9 We've had three phases through 2017, and
10 this is to highlight some of the feedback that we
11 got. So initially we came up with something and we
12 got feedback that it was too complicated. It wasn't
13 clear. It was just too cumbersome to work with. So
14 we simplified the data model. And we have different
15 parts, so we have a label content section and an
16 index piece. We also updated our user guidance and
17 in Phase 3 we started developing a builder,
18 something to assist with actually building the label
19 in the manner that we wanted. The idea is that we
20 want the electronic data, the XML files submitted
21 and that can be developed through our builder or
22 not.

1 And think of the IRS. You can use Turbo
2 Tax, you can use any number of tools, but they want
3 that electronic file submitted. And so that's the
4 model. As I said, not only with FDA but we're using
5 other best practices within the federal government
6 to develop our standards and our system.

7 So one of the major improvements that we had
8 to work on, and it has taken time, is to get our
9 arms around our terminology management, and so we
10 standardized. We've built out vocabulary lists,
11 we've borrowed lists. We've gone to experts,
12 definitive sources. We're using the Entomological
13 Society to help clarify our test list and we've
14 established consistency with other federal agencies
15 in our list.

16 We've taken our terms and we've registered
17 them with the EPA system. It's currently Synaptica
18 is the language or the system that we use for
19 managing our terminology. This is to show some of
20 the categories that we've used.

21 This next slide just shows that we have a
22 description in here. It's a center pivot sprinkler

1 irrigation system. And then we've defined it and
2 this is what it is. And what's not shown is we also
3 have synonyms for this. So when someone comes in
4 and they use a different term, like, okay, is this
5 -- do we already have this in our list? And we can
6 do an electronic check. We don't have to add any
7 term. We also have rigor around if someone does, if
8 there is something new that's invented or submitted,
9 that we'll have a committee and a team and really
10 look at it and say is this actually a new thing, do
11 we have to add that? And this way we'll get away
12 from what we have now, which over time, we have a
13 drop-down list of 1100 items, which doesn't do
14 anybody any good. It's virtually useless, so.

15 And this is to show how we managed to put
16 some boundaries around what we have by getting basic
17 categories and then fitting things into those, while
18 still managing to cover all of the different systems
19 that we have. It's pretty -- that's my layman's way
20 of saying this. A lot of work went into this with a
21 lot of developers and experts here in OPP.

22 So this is a screen shot, and this is our

1 test environment for the portal but this should look
2 familiar to most of you. You can see that there is
3 on the bottom right-hand corner, the SmartLabel
4 submission. So if you went to the portal and you're
5 registered to go in there and you want to submit a
6 label, you would click on that icon.

7 And this is the next screen that you would
8 get. So you can either upload a previous file.
9 Like I said, if you have your own system, if you've
10 already built a label and you just made a small
11 change to it, you can just upload the XML or you can
12 go, begin a new SmartLabel and you can use our
13 builder that we've provided to go ahead and build
14 your label.

15 This is the first screen that you would see
16 and it's got the document information and it will
17 pre-populate where it can, based on your name. And
18 then you'll have a product label and the use index
19 piece. The product label has more text and the use
20 index has more data fields to it for specific
21 information. The idea is that your marketing
22 claims, places where you have latitude, that can all

1 be there, and then the underlying data that wouldn't
2 change. Your application rate would be there,
3 submitted as data that can automatically be pulled
4 for risk assessment, risk mitigation purposes. And
5 this way the registrant is submitting the
6 information on the label. We do away with manual
7 entry and any kind of errors that that could create,
8 also any interpretation of the label. The
9 registrant is telling us exactly what they intend on
10 their label.

11 This is the ingredient statement, what it
12 would look like. And as you can see, there is the
13 guidance there on the right. And then at the bottom
14 in blue there's a description of what the page is
15 actually looking for for that additional guidance.

16 In addition to this, there is a user guide,
17 all of the code, the instructions, everything is
18 also posted online, like I said. So it's available
19 if anyone wanted to build their own builder or a
20 third-party vendor, either to customize for certain
21 industries. That's available.

22 So what are the next steps? So right now

1 we're currently in the final phase. We've gotten
2 our pilot participants back together. We've shown
3 them what we have, and based on their input, they're
4 testing it at the moment. On May 15th, we're going
5 to get their feedback. We'll do some final
6 revisions. At that time we'll be ready for our
7 initial launch. We plan on doing a soft launch
8 initially, just to get some additional testing done,
9 and then we envision sometime later this year, it
10 would be available for voluntary submissions.

11 While we're developing these electronic
12 tools to get information in here quicker and to help
13 the registrants and move things along, we need some
14 tools internally so that we're not getting it in
15 electronically and then turning it into paper and
16 doing our Adobe Acrobat reviews and things. So
17 while we're doing all of this, we are also working
18 on developing tools for electronic review in
19 management of our information within OPP.

20 So for implementation, we're reaching out.
21 We're letting people know about this and we will,
22 when it's launched, encourage some voluntary

1 participation and submission of your labels. It
2 will be voluntary initially. Of course, there will
3 be a learning curve. We plan on providing
4 assistance in getting it in. Once the initial label
5 is in and it gets reviewed, the advantages are going
6 to be that it will be easy to track. It will be a
7 quicker review time. It will be easy to make
8 changes to your label for amendments and stuff, so
9 there are benefits on both sides.

10 And then we're going to label, I'm sorry,
11 leverage the label information to further develop
12 our IT systems. Because the label contains, I would
13 say, most or a lot of the essential information
14 needed. It's got, you know, the registrant, the
15 name, the active ingredients, tied with what you're
16 going to hear from Diane about the ECSF as part of
17 the package, and we're going to build on that to
18 further develop our IT system.

19 One of the things we have to do is we have
20 to find a new name. We realize that the Grocery
21 Manufacturers' Association trademarked the name
22 SmartLabel in December of 2016. So internally

1 we're, we're maybe going to have a contest to rename
2 it. If anybody out there has a suggestion, feel
3 free to raise it. And I'm not sure that you'll get
4 the prize but -- which is lunch, but anyway. So
5 we're calling it SmartLabel now but like I said,
6 that will change, but hopefully it will be something
7 obvious that you will know it's still there.

8 So here, like I said, we expect that there
9 will be benefits on both sides when this is
10 implemented. It's I think everyone -- labels are
11 developed electronically, whether they're Word or
12 any manner and stuff, so this is just an advance
13 that's going to help everyone and it's just the way
14 that we need to move and use the tools available to
15 us to have efficiency.

16 And right now, I'll take questions or what?

17 MR. KEIGWIN: Why don't we have Diane do her
18 presentation and then we can take questions on both.

19 So Diane Isbell is with our Antimicrobial
20 Division.

21 MS. ISBELL: Okay. So I am going to talk
22 about the eCSF. The electronic confidential

1 statement of formula is an electronic version of
2 EPA's current CSF. This project began a number of
3 years ago. Actually probably I believe it was 2008
4 we had a product chemistry workshop where we noticed
5 that we had a lot of errors that seemed to be
6 happening all the time and that we felt like we
7 needed a way to help, you know, help everybody be
8 more efficient. And we also knew that we wanted to
9 move into a more electronic way of managing our
10 work, so we started this project.

11 And now we are in the process of developing
12 the electronic software so, and the software will
13 provide an option for people to submit the
14 structured product data in lieu of what people have
15 been just submitting now, which is the paper version
16 or electronic but not searchable. So in this case
17 we'll actually be able to search for certain aspects
18 of a formula because we often get inquiries about
19 how much of a particular inert ingredient is in --
20 are in various products or a particular active
21 ingredient, and it's a little bit cumbersome to do
22 that now.

1 So similar to the SmartLabel, the eCSF will
2 be submitted through EPA's pesticide submission
3 portal. So this is, as Patty showed you, this is
4 also the test area for the portal and the ECSF is
5 located at the top right corner. And so similar to
6 the SmartLabel, if you clicked on that, then you
7 would be able to upload an existing file that you
8 already had submitted before or a new one.

9 So this will allow applicants to submit the
10 electronic information to EPA, and if you have
11 submitted the electronic submission before, it will
12 automatically populate your CSF the next time. So
13 it will be a little bit cumbersome maybe at first,
14 but eventually it will improve. But it will also
15 prepopulate information from your portal logon, so
16 it would be your company name, the company number
17 and, you know, the address, all that information
18 would be there.

19 The chemical name will link to the agency
20 information sources, and we're using the substance
21 registry system, and that's also consistent with the
22 SmartLabel. And this also includes the product

1 properties as are currently assessed. And the
2 manufacturer and formulating sites and addresses.

3 So this page shows the initial, the page
4 just with the basic information about the company.
5 So the name and the address and the company number,
6 but there's a couple of new fields that are down at
7 the bottom and they are for, asking if this is a
8 food use or if it's a microbial. And those are new
9 which I think will help the registrants of microbial
10 products but also will help clarify certain uses,
11 especially antimicrobials that are food uses where
12 it may not always be evident.

13 Some of the benefits of using this
14 electronic form are that we anticipate to have
15 significant time and resource savings for both the
16 agency and for applicants. We feel like most
17 submissions of CSF are actually modifications of
18 currently -- which are forms that are already
19 in-house. And so if you had submitted it previously
20 electronically, then you would just be able to
21 update the fields that you wanted to change. We
22 think that will help save resources as well.

1 And as I mentioned before, the structured
2 data fields will allow for the data to be searched
3 and you wouldn't need to reenter it. So we think
4 that this will help everyone, especially reducing
5 time to fill it out initially and also time and
6 effort needed for error corrections.

7 So now this actually is the screen where you
8 can see the -- where you add the components so, and
9 on this screen you can actually, you can enter in
10 the chemical name. If you would like to choose it,
11 you can enter the chemical name or you could enter
12 the cas number. So, and then once you fill in one
13 of those, it should prepopulate with the other,
14 other pieces of it. So we also ask the question is
15 this nano material and also as part of this, it will
16 calculate the upper and lower certified limits
17 automatically because that seems to be one of the
18 biggest error, errors that we get.

19 So some more on the benefits, just basically
20 what I was mentioning about the microbial fields and
21 the data validation, but also consistent with
22 SmartLabel, we will be relying less on paper and the

1 paper-based processes because we are developing a
2 database that will manage those, the SmartLabel and
3 the eCSF data together, and this is just one module
4 in our overall electronic management process.

5 So the eCSF team is continuing to work with
6 all divisions on the eCSF elements and to include
7 data fields, harmonized OPP-wide vocabularies and
8 data validation rules, so that we're consistent with
9 the SmartLabel.

10 And we have collaborated with the SmartLabel
11 to overlap -- to harmonize overlapping vocabulary
12 such as like the chemical names. And we have also
13 been working with nine registrants on the testing
14 and development. So we've had, I believe we've had
15 two sessions working with the registrants and we
16 will be having another one as we move along.

17 The rendered format for the eCSF will be
18 very similar to the current format. However, there
19 are some additional fields such as the microbial
20 chemicals and the (inaudible) that I mentioned. So
21 we're trying to fit those in the best that we can
22 but we want it to remain as similar as possible.

1 And we're also working on establishing the
2 workflow management for future eCSF data and we are,
3 you know, looking toward the future in terms of how
4 we could manage that workflow through our electronic
5 processes. We anticipate releasing this the summer
6 of '18 or some, maybe a little bit later. We're
7 still kind of working that out, but at least
8 sometime in 2018.

9 So the registrants, the nine registrants
10 that we have participated with on the testing are
11 listed here on this screen and we're very grateful
12 for the input that we've had. It's been productive
13 and we are hoping to have one more round as I
14 mentioned.

15 So our next steps are to develop the
16 electronic workflow internally and train OPP staff
17 and encourage registrants to implement use of the
18 ECSF. And we also plan to have more outreach and
19 training with the registrants when we roll this out
20 and we will provide assistance to the registrants as
21 we do implement this . And well, it's going to
22 continue with other modernization, OPP IT

1 modernization initiatives.

2 Do you have any questions or comments?

3 MR. KEIGWIN: Thanks, Patty and Diane.

4 Questions?

5 All right. Damon, then Charlotte.

6 MR. REABE: My comment is for the first
7 presenter. How about E-label?

8 MS. PARROTT: Sounds good to me.

9 MR. KEIGWIN: Charlotte.

10 MS. SANSON: First I would like to commend
11 you guys, EPA for all the work you put into these
12 tools. I know it's a lot of effort that's going
13 into it and I think in the long run, it will be a
14 big savings. I look back in the days years and
15 years ago when I did this work and all manually.
16 We've come a long way so that's, I appreciate that.

17 So a couple questions I have. I have a
18 whole bunch. So if you want me to like stop, just
19 tell me but I think most of these apply to both, the
20 ECSF and the Smart or E-label.

21 One is if you could define a little bit more
22 what you mean by soft launch that you're

1 anticipating on both of these tools. And will there
2 be an opportunity for those registrants who have not
3 participated in either workgroup to participate in
4 providing some input and explore these tools before
5 they're fully launched, if that's going to be part
6 of the soft launch? So I can stop there if you
7 would like to address that.

8 MS. PARROTT: Yes, I think that is part of
9 the problem, not part of the problem but part of our
10 thinking is to do a soft launch before we, you know,
11 let everyone go and find all these problems is to
12 somehow stagger it out in a fair manner. I mean
13 we've been working with the pilot participants but
14 how do we release it in a fashion where we can get
15 feedback that's manageable to us, if any errors, or
16 there are any problems that come up. We do intend
17 to have webinars and training sessions to show
18 everyone what's available and then, like I said, and
19 then to have it available for voluntary use. We're
20 still trying to work some of this out but yes, we do
21 want feedback.

22 We also, at every step of the pilot

1 previously we've had, we've put all the materials up
2 and they've been available for people to see and
3 comment on into a mailbox. And that mailbox was
4 available for additional comments but at this time
5 since the next step is what we see as the soft
6 launch, that's why -- I'm not sure about the timing
7 of when we're going to be doing this. But yes, we
8 do intend in doing some outreach. And for the ECSF,
9 the same.

10 MS. SANSON: Okay. Thank you for that. And
11 then the other question I have is is this tool
12 intended for like from this point or when it's
13 launched that point going forward or how will
14 existing labels and eCSFs be uploaded and is there
15 going to be any kind of a batch loading or one by
16 one? How do you envision that going or is it just
17 going -- in other words, is it going to be
18 retroactive as well as going forward?

19 MS. PARROTT: Okay. The way the system is
20 envisioned is that registrants would submit their
21 own information. We're not going to like upload
22 anything ourselves because we want you all, the

1 registrants to tell us --

2 (Simultaneous speech.)

3 MS. SANSON: -- or will they do that
4 individually?

5 MS. PARROTT: To tell you, I'm not sure how
6 that would go. You mean to upload many at once?

7 MS. SANSON: Right.

8 MS. PARROTT: That's an IT question I'm not
9 sure that I'm -- that I can answer right now. It
10 depends how the portal works but, yeah, we can look
11 into that and get back to you, so.

12 MS. SANSON: Okay. So, but as far as, so it
13 would be up to the registrants then to upload their
14 own labels and go back to the existing ones is what
15 you're saying.

16 MS. PARROTT: Correct.

17 MS. SANSON: There's an opportunity for
18 that.

19 MS. PARROTT: Yes, yes.

20 MS. SANSON: Okay. And CSFas well, okay.

21 That's all I have at the moment. I'll probably have
22 more. I'll let somebody else.

1 MR. KEIGWIN: Okay. Andrew, then Jay.

2 MR. THOSTENSON: I saw with some interest
3 the desire eventually to make this tool available to
4 states and tribes, and I understand it's in the
5 development phase right now, but what sorts of
6 conversations and what are some of your visions for
7 trying to make some of these tools available to
8 other agencies that may be registering pesticides
9 like states, as well as educators like myself, where
10 I would want to do some sort of review about a
11 particular label statement and how many labels might
12 contain a certain PPE string and that sort of thing?
13 Is that a five- or ten-years down the road sort of
14 thing or is it maybe sooner than we think?

15 MS. PARROTT: Okay. For making the tools
16 available, this will be available online to anyone
17 who wants to use it. We are in conversations with
18 Canada and California. We've also been speaking
19 with NPIRS, so reaching a lot of the states.
20 They're aware of this and we've gotten some input
21 and we've presented them. So there is some
22 harmonization and knowledge going on there.

1 As far as making it fully searchable to the
2 public, what we'll publish is a structured rendered
3 label in a consistent format for the master label
4 and that will be available. Think of PPLS but it
5 would be in a structured format.

6 As far as the searchability across, you
7 know, different labels and things, that is a step
8 that we're still going to have to think about and
9 develop. Initially registrants didn't want to be
10 potentially penalized if they were early adopters
11 because someone could easily search and find like a
12 gap and then come in with registration for that gap.
13 So we're trying to think about what's fair to
14 everyone and we'll get additional input with that.

15 You had another piece of your question and
16 I'm not sure. Did I -- I can't remember. You got
17 it?

18 MR. THOSTENSON: Yeah.

19 MS. PARROTT: Okay, all right. Thank you.

20 MR. KEIGWIN: Jay, then Eric.

21 MR. VROOM: Three quick questions. Slide 5
22 has a reference to 6A2 submissions as input. So how

1 and how often are 6A2 notifications impacting label
2 changes and is 6A2, an electronic or an electronic
3 option? The second question is could you tell us a
4 little bit more about Synaptica. Are they a
5 contractor that the agency has used elsewhere? Just
6 give us a little more context to that.

7 And also you made reference to some
8 learnings that were gathered from FDA, electronic
9 submissions and ultimately that sort of comes back
10 to the initiative at the administrator's level with
11 the new chief operating officer and smart sectors,
12 how much enhancement, synergy is going on across EPA
13 to ensure that you're taking advantage of things
14 that are on the shelf, that may be already adopted
15 elsewhere in the agency? And also I'm reminded that
16 the registration and registration evaluation offices
17 have mentioned that their computing systems are on
18 different platforms, so how does all that progress
19 moving forward? Maybe Rick, for your kind of
20 overarching perspective.

21 MS. PARROTT: Okay. For 6A2, we do have an
22 incident data system where submissions come in, and

1 what we were showing on slide 5 was that eventually
2 we see the harmonization of all of our electronic
3 submissions. I mean as far as how often a 6A2
4 impacts a label, I don't have those data right now
5 but that was the intention of the slide. That's a
6 different question and we can get back to you if you
7 need that.

8 For Synaptica, from what -- and I'm not the
9 expert. It's what our Office of Environmental
10 Information uses. I believe it's a platform for
11 computer languages and stuff. I know it goes out.
12 It's got (inaudible) codes and other things that go
13 with it. Database people, programmers would
14 probably know more about that, but it's an agency
15 standard that we use.

16 As far as you said according to the chief
17 operating officer, I think this started back in the
18 last administration but what we've tried to do is to
19 be consistent and harmonize and not redevelop to be
20 consistent, use existing standards and best
21 practices that exist so that we're not creating a
22 one offer system that wouldn't be consistent with

1 any other thing. All of our IT development systems
2 go through a review by our chief information
3 officer. It's a SAKARA (phonetic) review and I have
4 no idea what that acronym means, but there is, there
5 is rigor around that, so we are aware of that and
6 building to those standards.

7 MR. VROOM: I'm also curious to know for the
8 registrants that have been participating in the
9 pilot, I mean is there some metric that they can
10 say, you know, we've gained something as a
11 registrant by, you know, participating in this so
12 that other registrants can see an incentive outcome
13 as well?

14 MS. PARROTT: I will tell you that our pilot
15 participants are enthusiastic about the tool. They
16 have pulled -- the feedback we've gotten is that
17 it's going to help them. They're building systems
18 anyway. They want them to be consistent with ours
19 because they need this tool themselves, something
20 electronically to keep version control, to easily
21 make changes, to react quickly.

22 We can, you know, have more of that as it

1 rolls out, maybe have the pilot participants seek,
2 you know, additional advantages. We've said some of
3 them. We think time, time savings is going to be a
4 big, a big value to both sides of the equation.

5 Was there anything else?

6 MR. VROOM: Just about systems that can talk
7 to each other between the offices, Rick?

8 MR. KEIGWIN: I think the agency has a
9 longer term goal, to make sure that all of our
10 systems across the agency are talking to each other,
11 you know. We're starting here. There's also an
12 effort -- some of this system, once fully
13 operational, will also contain some of the tolerance
14 information as well and so there will be an
15 opportunity to share that information directly with
16 our colleagues at FDA who do tolerance enforcement,
17 for example. So we are building this in mind for
18 that longer term vision.

19 MR. KEIGWIN: Eric, are you good?

20 MR. GJEVRE: I think you more than answered
21 the questions I had. But I was just curious, how
22 many total registrants after all this is built out

1 do you think you'll have that could use it?

2 MS. PARROTT: All of them. We've built it
3 out to handle all types and we did a -- in selecting
4 pilot participants, we want a representation from
5 all of the major groups, small, large,
6 antimicrobial, biopesticides. We've worked -- as
7 well as conventionals. We've worked on all of the
8 lists. So we're hoping that eventually because it
9 will be fully, it will meet its full potential when
10 it's fully loaded with all of the information and of
11 course, we can't get it all at once but we're hoping
12 that everyone will see value in using it.

13 MR. KEIGWIN: Liza.

14 MS. TROSSBACH: To follow up on Andrew's
15 comment, I wanted to offer on behalf of states,
16 tribes and territories, just the importance of the
17 system. I think that state-lead agencies, tribes
18 and territories ought to be on registration programs
19 as well and so this is a tool, would be great for
20 us. We use PPLS a lot to do label comparisons and
21 that can be cumbersome and so anything to streamline
22 that.

1 I would encourage EPA to have some kind of
2 searchability function, in that at some point,
3 particularly for us as your co-regulators, when we
4 get a label in our particular offices, we want to
5 make sure that it is in concert with the EPA
6 accepted label and so having that searchability
7 would greatly enhance our ability to do that.

8 And then the other thing with the webinars
9 and the outreach that you're going to do, I would
10 request that you have that, some of those sessions
11 specifically for your states, tribes and territories
12 so they can understand the applicability directly to
13 those registration programs, in addition to those
14 that you're going to do, you know, for the
15 registrants and other interested users. Thank you.

16 MS. PARROTT: Okay, thank you. And we will,
17 we will look into those.

18 And one of the things I wanted to say in
19 addition to, we were talking about benefits of the
20 system, is that right now web-distributed labeling,
21 we haven't had any applications for web-distributed.
22 Getting the labels, pesticide labels into this

1 electronic format we believe is going to facilitate
2 also web-distributed labeling which will then also
3 be a benefit to states and others. You can look for
4 a particular section of a label, rather than going
5 through all 30. So the searchability function and
6 all of those attributes are things that we are
7 working towards.

8 MS. TROSSBACH: Just one follow-up question
9 for the web-distributed labeling. So this system,
10 you know, when it gets to that point will be able to
11 track the versions of the labels? Because that was
12 really important with web-distributed labeling and
13 what label was in effect at the time of application.
14 So that would be built into this somehow as well?

15 MS. PARROTT: Yes, it is.

16 MS. TROSSBACH: Thank you.

17 MR. KEIGWIN: Let me check with PPDC members
18 on the phone. Sharon, Iris or Pat, do you have any
19 comments or questions?

20 Any more comments or questions from PPDC
21 members in the room? Aaron.

22 MR. HOBBS: I'll be brief. You have a great

1 representative sample of the industry. I just want
2 to encourage that more communication and outreach to
3 a broader section of the community is going to be
4 valuable as this moves forward and just, if you
5 think you're communicating enough, maybe add another
6 10 percent. Thank you.

7 MS. PARROTT: Okay, thank you. We will.

8 MR. KEIGWIN: Okay. Any other questions,
9 comments?

10 MR. THOSTENSON: You mentioned the term
11 "web- distributed labeling" as something that we
12 have had conversations over the last five or six
13 years about and this would certainly facilitate that
14 process. Can you give me some sort of indication or
15 idea as to how many web-distributed labels have
16 actually tried to go through the system as it exists
17 now?

18 MS. PARROTT: None.

19 MR. THOSTENSON: None.

20 MS. PARROTT: Yeah.

21 MR. THOSTENSON: And presumably the
22 impediment is the ability to generate some sort of

1 electronic labeling?

2 MS. PARROTT: Yes, we believe that is a
3 limiting factor. I am not the expert on it but yes,
4 we do feel that. And so the thought is that the
5 SmartLabel, the electronic pesticide label will
6 facilitate that. The information will be available
7 in that format anyway, and so it will be ready to be
8 delivered through the web-disputed labeling
9 platform.

10 MR. KEIGWIN: Okay. So we are running 15
11 minutes ahead of schedule, which means you have a
12 little bit more time for lunch which means you'll
13 have a little bit more time to get through security
14 to come back in. We are going to -- we've got a
15 very packed afternoon, so we would like to start
16 again promptly at 1:15, so you might want to try to
17 get here for security no later than 1:00 or earlier,
18 if you can. Have a good lunch. See you this
19 afternoon.

20 (A lunch recess was taken.)

21 MR. KEIGWIN: All right, welcome back. So
22 the first half of the afternoon we're going to

1 update you all on some of our efforts in employing
2 some 21st Century toxicology techniques and
3 transitioning to less animal testing. So we're
4 going to start off with a session, Anna Lowit, who
5 is the senior science advisor for the Office of
6 Pesticide Programs and Garland Waleko, who is in our
7 Pesticide Reevaluation Division, will kick things
8 off.

9 MS. WALEKO: Hi, I'm Garland. I'm a
10 chemical review manager in the Pesticide
11 Re-Evaluation Division, as Rick said, and I help
12 Anna co-coordinate the acute tox modernization
13 efforts in OPP. This presentation, the background
14 part, is similar to what I talked about last year,
15 but we do have some updates further in on some of
16 the specific tests, so bear with me if you've heard
17 parts of it before.

18 So the 6-pack, easy pack 6-pack, those tests
19 are required for all formulations as well as active
20 ingredients. It's for precautionary labeling,
21 re-entry intervals, clothing and PPE, things like
22 that on the label. It's acute oral, dermal and

1 inhalation tests, as well as eye irritation, dermal
2 irritation and dermal sensitization, so that's what
3 I'll be talking about.

4 So some background, OPP has developed a
5 strategic direction for new pesticide testing and
6 assessment approaches, and this is to implement the
7 2007 National Academy of Science report called
8 Toxicity Testing in the 21st Century. The strategic
9 direction is on our website listed there and the
10 anticipated outcomes of this move are many, but a
11 few of them are listed below.

12 So they include more computer-aided methods
13 rather than animal tests to identify hazard as well
14 as exposure, as well as to focus testing, improved
15 approaches with the traditional tests that we
16 already have to minimize the number of animals we
17 use while also getting more information, as well as
18 an improved understanding of tox pathways so that we
19 can develop other non-animal methods.

20 And this is all about adopting something
21 called IATA which stands for Integrated Approaches
22 to Testing and Assessment, and this is a more

1 weight-of-evidence based approach. It's hypothesis
2 based, systematic and meant to integrate exposure
3 and hazards in risk assessment.

4 So guiding principles for data needs for
5 pesticides, this is for EPA staff, and the bottom
6 line is that there is flexibility in our regulations
7 to accept alternative approaches as well as grant
8 waivers, so we do have that built into our
9 regulations. But the guiding principle is to
10 provide consistency in identifying data needs. They
11 promote the use of existing knowledge and a focus on
12 the critical data needed for the risk assessment, so
13 what do we really need to know to make a decision?
14 And it's more of an efficiency approach, not just a
15 check the box.

16 So these are the acute test guidelines, and
17 about the numbers, each test that we get per year.
18 So 2012 through last year, as you can see about the
19 numbers we're getting for each one and they're
20 pretty consistent.

21 In 2016 our then director, Jack Housenger,
22 wrote a letter to stakeholders sort of reiterating

1 our goal to reduce animal testing and also our
2 commitment to that goal. So it kind of outlined our
3 commitment to work with our partners, so NGO's,
4 other federal agencies but also internationally
5 across the government. So the activities outlined
6 in that letter follow three main objectives which
7 I'll go through examples of each of these things,
8 critically evaluating which studies form the basis
9 of our decisions, expanding acceptance of
10 alternative methods and also reducing barriers to
11 adopting alternative methods. And some of those
12 barriers can be challenges of data sharing among our
13 industry partners as well as international
14 harmonization.

15 So we have an internal workgroup in OPP to
16 work on these issues and we meet biweekly and
17 sometimes monthly. There's representation across
18 the divisions and we discuss updates and what's
19 going on and who can work on what, that kind of
20 thing. And then we also have a stakeholder group
21 made of external stakeholders. We also meet
22 regularly to discuss progress and opportunities to

1 work together. If you're interested in joining the
2 stakeholder group, you can contact Shannon Jewell.
3 Her information is there. I think the last meeting
4 we had was at SAP in March of this year. We also
5 have webinars pretty regularly on new developments
6 on the different tests.

7 We also have a public docket where we post
8 draft guidance for comments. We have draft guidance
9 in there right now for skin sensitization which I'll
10 talk about more later. And we also post our final
11 guidance there which is also on our website.

12 So U.S. federal collaboration. EPA is part
13 of the ICCVAM that was created in 2000 by Congress.
14 It stands for the Interagency Coordinating Committee
15 on the Validation of Alternative Methods. That's a
16 mouthful. But it's 17 federal agencies that either
17 require, use, generate or disseminate tox and safety
18 testing information. The operational and
19 scientific support arm for ICCVAM is NICEATM at the
20 National Institute of Health. They do most of the
21 data collection and modelling and really are
22 critical to our success in this area.

1 Okay. So an example of critically
2 evaluating which things form the basis of OPP
3 decisions. The acute tox -- the Acute Dermal and
4 Pesticide Formulation Waiver was finalized in
5 November of 2016. It had gone out for comment in
6 March of that year. This is a collaboration between
7 EPA and NICEATM to look at the relative contribution
8 of data from both the acute oral and the dermal tox
9 tests to what actually ends up on labels for hazard
10 classification and labeling.

11 So data was collected on acute lethality,
12 dermal and oral tox data from rat studies, just for
13 pesticide formulation. So that guidance isn't
14 finalized. We've been receiving and granting those
15 waivers. We get about 200 or 300 dermal formulation
16 tests annually, so you can see the potential for
17 animal savings.

18 Expanding acceptance of alternative methods.
19 So these are some of the OECD guidelines out there
20 for these three tests, skin irritation, eye
21 irritation and skin sensitization. And we're
22 working towards accepting these existing guidelines.

1 They're kind of like our starting points.

2 So eye irritation, I have some updates on
3 this one. So this is a collaboration that's
4 currently ongoing. We have a policy in place right
5 now to accept eye irritation assays for the
6 antimicrobial products and we're looking to expand
7 that to the conventionals as well. So NICEATM has
8 collected over 200 pairs of in vitro-in vivo data
9 provided voluntarily by industry and analyzed that.
10 They've determined that we need some prospective
11 testing to fill in some of the gaps in that
12 database. So right now Phase 1 is underway to look
13 at six formulations donated by industry and I think
14 five different assays related to the eye. Once
15 that's complete, anticipated about this June, we'll
16 move into Phase 2 to look at 40 additional
17 formulations donated by industry.

18 So this effort is co-chaired by PETA
19 International Science Consortium as well as NICEATM,
20 Physicians Committee for Responsible Medicine, EPA
21 Canada, Europe and of course, our industry partners.

22 So skin sensitization, there's a lot going

1 on with this one right now. There was, last time I
2 gave this talk, a project proposal had been
3 approved, at an OECD meeting in December of 2016 and
4 this was a follow-up to that. So in December 2017,
5 they had a special meeting to talk about what
6 happens next.

7 So there are multiple non-animal testing
8 strategies out there that actually perform better
9 than the mouse (inaudible) assay, which is the
10 animal test we currently were using. There is an
11 assessment framework that could serve as a
12 replacement for that test and that performance
13 criteria is laid out in that paper, the Casati paper
14 cited up there.

15 So last time I talked to you about this, I
16 said there would be an EPA draft policy forthcoming
17 and we have just put that draft out last month,
18 April 10th, that describes the science that supports
19 moving towards this. The LLNA is a local lymph node
20 assay in the mouse but the combination of different
21 non-animal assays actually does better and is more
22 reproducible than the mouse test. So the policy

1 that describes that science is out for comment now
2 in the docket until June 9th, but this was a result
3 of a collaboration between ICCVAM, NICEATM and then
4 our European counterparts, as well as Canada.

5 So EPA will be accepting the alternative
6 approaches for skin sensitization immediately under
7 the conditions described in the policy. So only
8 existing OECD guidelines for determining hazard, you
9 can use the approach that's the best two of three
10 described in the draft. Right now it's just active
11 or inert ingredients, not formulations just yet.
12 But the National Toxicology Program at NIH is
13 working to see if we can't expand it to formulations
14 and mixtures, and if that's the case, we can revise
15 the policy later. But the docket is listed up there
16 with the website. If anyone is interested in
17 commenting, we're accepting those until June 9th.

18 Okay. The last example, we began a pilot
19 program in December 2016 to look at the possibility
20 of using the GHS equation for formulation for oral
21 and dermal. We assembled a data set or we're trying
22 to actually, we're still accepting data to look at

1 the oral and inhalation formulation testing that we
2 currently require but also submitting currently with
3 the GHS equation.

4 So the equation just adds to the components
5 of the formulation. It adds up the LD50's to
6 predict the hazard for the formulation. So this
7 could potentially save a lot of animals by not
8 having to do either of those tests anymore and just
9 accept the equation.

10 But so far we've received submissions from
11 Dow, BASF, EcoLab, Control Solutions and Procter &
12 Gamble, and I think we have a few more anticipated,
13 so we should be able to start that analysis in the
14 next few months. But this is a good example of our
15 efforts to harmonize. EFSA in Europe uses this
16 already.

17 And then outside of acute tox 6-pack, we're
18 looking at some potential with the dermal absorption
19 triple pack, which is a human in vitro, a rat in
20 vitro and a rat in vivo study that all use similar
21 protocols, so like the same test material and doses.
22 And this was used by OPP to refine the dermal

1 assessments, to adjust for differences between in
2 vitro and in vivo absorption, as well as the species
3 differences.

4 But NICEATM is in the process of looking at
5 data from existing triple pack studies to see if we
6 can't just rely on the human in vivo for risk
7 assessment. So that's another thing that we're
8 working on. And that is all.

9 MR. KEIGWIN: Thanks, Garland.

10 MS. WALEKO: Sure.

11 MR. KEIGWIN: Questions from the committee?

12 Let me check with PPDC members on the phone.

13 MS. BISHOP: Yeah, hi, it's Pat Bishop. Can
14 you hear me?

15 MR. KEIGWIN: Hey, Pat. Go ahead.

16 MS. BISHOP: Hi. Yeah, thanks, Garland, for
17 that update. I think this is really, I want to just
18 say this is real great work that's going on and I
19 think as Charlotte mentioned this morning, a lot of
20 impetus for this came out of the tox 21 workgroup
21 from PPDC as well as the Jack Housenger letter which
22 was probably a first where some, where a major, you

1 know, regulatory authority director came out and
2 committed to going forward with this work. And I
3 know, Rick, you support it, ongoing work as well.

4 I just wanted to ask you one question. I
5 was at a meeting last week at Croplife and Anna was
6 talking about the HASPOC group that's also been --
7 you mentioned there's a lot of flexibility in Part
8 151 as far as granting waivers and so forth.

9 She mentioned that the HASPOC group has been
10 reviewing a lot of submissions and has -- I mean the
11 numbers she was talking about were astounding to me,
12 something like 40,000 animals were saved over a
13 certain time period. Can you comment on that at
14 all?

15 MS. LOWIT: Hey, Pat, it's Anna. So yes, so
16 as you know, I gave two presentations at the
17 Croplife RISE conference last week, and they were
18 largely two related presentations. The first one
19 was in large part a similar presentation to what
20 Garland just gave which was focused on our efforts
21 around the 6-pack. So the acute oral, dermal,
22 inhalation and then the three topical studies that

1 are used for labeling.

2 And then the second presentation was on our
3 efforts on human health to reduce our animal usage
4 for repeat dose testing. So for those of you in the
5 room not familiar with the acronym, the HASPOC, OPP
6 has an internal committee called the Hazard and
7 Science Policy Council, hence the acronym HASPOC.
8 It's kind of a little ugly, ugly acronym. But it's
9 an extremely productive committee.

10 Since December of 2011, the group meets
11 every other Thursday afternoon and looks at waiver
12 opportunities for conventional actives with the
13 health effects division but also antimicrobial
14 products and biopesticides. And over the course
15 since December of 2011, all the way up until April,
16 we've granted 1,047 waivers and in fiscal year '17
17 alone, we granted enough waivers to save over 40,000
18 animals and save upwards of, I don't remember the
19 number off my head, it's upwards of near \$100
20 million dollars to the industry. That's just in a
21 single fiscal year.

22 So we are fully committed to reducing our

1 animal footprint but also to use the resources of
2 industry appropriately and the taxpayer dollars
3 appropriately, as we're not asking for studies that
4 don't make a real difference in our risk assessment,
5 we're using our own staff time much better.

6 MS. BISHOP: Great. Thank you.

7 MR. KEIGWIN: Other comments or questions?

8 Okay, thank you.

9 So next up we have Kimberly Nesci who is
10 deputy director of the Environmental Fate and
11 Effects Division, and Melissa Panger, who is a
12 senior scientist in EFED, who will share with you
13 some of the work that we're beginning to do on
14 reducing animal testing for ecological effects
15 analysis.

16 MS. NESCI: Good afternoon, everybody.

17 Thank you so much. So as Rick said, my name is
18 Kimberly Nesci. I'm the deputy director of the
19 Environmental Fate and Effects Division. So Melissa
20 Panger, a senior science advisor, and Ed
21 Odenkirchen, who unfortunately could not be here
22 today, is also a senior science advisor and he sends

1 his regrets. I'm going to be talking a little bit
2 about some of our reduced animal testing on the eco
3 side, so sort of as a continuation of what Garland
4 was just talking about, Garland and Anna.

5 This work is a priority for us and we're
6 actually really excited about it. And as you will
7 see from the presentation, we're open to ideas for
8 collaboration and additional ideas that you all
9 might have. So if you, as we're going through this,
10 if you seem to have ideas and you want to come in
11 and talk to us, please, please reach out.

12 And with that, I'll turn it over to Melissa.

13 MS. PANGER: All right, thanks. So yes, as
14 Kimberly was saying, we're going to talk a little
15 bit about OPP's efforts to reduce animal testing for
16 ecological risk assessment, so focusing more away
17 from the human health side, along the eco side and
18 we'll just talk a little bit about new approach
19 methodologies, methodologies and some retrospective
20 analyses that we're currently working on.

21 So just as an overview of what we'll be
22 talking about today, we're going to start a little

1 bit about, talking about some of the guiding
2 principles that we're using as we move through some
3 of this work. We're going to talk about two
4 specific retrospective studies that we're doing, one
5 with acute and subacute avian dietary studies and
6 then one with fish acute studies. And then we're
7 going to talk a little bit about a couple of groups
8 that we're involved with with ICCVAM and then our
9 participation in an upcoming toxicology forum, and
10 then as Kimberly suggested, we're also looking for
11 some feedback and ideas, so that would be the last
12 slide.

13 So our guiding principles as we move through
14 these projects and think about moving forward on
15 these things, we want to make sure that as we're
16 moving forward with new approach methodologies, so
17 it's a new acronym NAM is what we're calling some of
18 these approaches now. It's equivalent to the
19 alternative test methods and strategies. So as we
20 move towards some NAMs, we'll just shorten it to
21 that, we're going to -- we want to make sure that
22 the tasks that we're working on are fit for purpose,

1 meaning that they, the projects will be able to
2 provide information that are usable for risk
3 assessment, for eco risk assessments.

4 And we want to make sure that as we move
5 forward, the approaches are scientifically relevant,
6 reliable and confident. We have to have confidence
7 in it, so we want to make sure as we move forward
8 with the approaches that the answers we're getting
9 from the data are as good as or if not better than
10 what we're currently getting.

11 And then of course, we'll have to involve
12 some staff training, education and collaborative
13 work with this and we're trying to leverage as many
14 partner resources as possible.

15 Now, also as we move forward with NAMs and
16 the ecological risk assessment under FIFRA, we have
17 a commitment of time and resources through the
18 completion of some of these specific NAMs, and then
19 as we move forward, obviously if we have, develop
20 new approaches, they'll have to go through, we'll
21 have to develop OPP guidance and policy that's
22 publically transparent.

1 All right. And so for the NAMs, just to
2 kind of remind folks or let folks know if you're not
3 already aware that we've been using NAMs for years
4 in our eco assessments, things such as ECOSAR,
5 EPISuite, things that can model toxicity in fate
6 parameters and in quantitative structural analysis
7 and read-acrosses. So we've been using some of
8 these approaches for years. What we've been
9 primarily using them for are screening for
10 degradates, effects toxicity, trying to prioritize
11 degradates we need data for, using it to compare the
12 degradate toxicity to the parent toxicity and then
13 trying to address any potential data gaps we have
14 with the parent.

15 So as we move forward, we'd like to expand
16 the use of the NAMs and move more towards actually
17 using it to replace whole animal testing where we
18 can. And so as was said earlier, for this to
19 happen, there will have to be fit for purpose.
20 We'll have to be able to make sure that they are
21 useful for risk assessment purposes and are
22 scientifically relevant, reliable and we have

1 confidence in them.

2 Now, one of the retrospective projects that
3 we're currently working on that I wanted to spend a
4 couple minutes talking about is a retrospective of
5 the acute avian studies we get and in comparison
6 with the subacute avian studies. And just as a
7 little background, when we get an outdoor
8 conventional pesticide registration, we typically
9 require two acute oral bird studies, usually those
10 are with a bobwhite quail or mallard duck and a song
11 bird species. And then two subacute dietary studies
12 with birds, usually with the mallard and a bobwhite
13 quail. And we use all of the data in our risk
14 assessment process.

15 So what we typically do is we'll use the
16 most sensitive acute oral endpoint and the most
17 sensitive subacute oral endpoint, and whatever has
18 the highest risk quotient when we compare it to our
19 exposure values is what usually is the regulatory
20 endpoint, the one that we use for our risk
21 decisions.

22 And so -- and just, so we use, we use both

1 the acute oral and subacute dietary studies. And so
2 what we're doing now is we're working with PETA,
3 working on a collaborative project with PETA to do a
4 retrospective analysis of those data and what we're
5 trying to address is whether or not we really need
6 both types of studies in all cases to make a robust
7 regulatory decision.

8 So the question we're specifically answering
9 or asking is can we confidently assess acute risk
10 for birds using a reduced suite of effects studies
11 focusing on the single oral dose protocol? And so
12 what we're looking at is looking to see is how often
13 are we actually using the subacute data to make a
14 quantitative or qualitative -- use it for our risk
15 decisions and ultimately our risk management
16 decisions.

17 And so we're focusing for this retrospective
18 not just on the toxicity endpoints but actually on
19 the risk quotient, the risk assessment outcomes.
20 Because for the birds, we test one species but we
21 relate that, extrapolate to species of different
22 sizes with different dietary categories, so exposure

1 values vary across the birds. So we're actually
2 looking at that quotient of the exposure versus the
3 effects which is our risk quotient or RQ. So we're
4 comparing the RQ's across the acute oral and the
5 subacute.

6 And the data set that we're using is we're
7 focusing on chemicals that have been registered from
8 1998 to 2016, with the idea that we're using the
9 most recently registered chemicals, thinking that
10 that would be the best examples of the types of
11 chemicals that we'll be getting in the future.

12 So PETA is doing a lot of legwork and
13 they're reviewing most recent publically available
14 risk assessments for these chemicals and because
15 they don't have CBI, they're using the publically
16 available assessments and they're also looking at
17 determining the mode of action for each pesticide,
18 and we'll see what the value of that is in just a
19 minute.

20 But from each risk assessment document,
21 we're pulling out and extracting and comparing the
22 single oral dose in dietary-based risk quotient to

1 see how they're deriving the risk conclusions and
2 ultimately the risk management decisions and then
3 summarizing any of the risk characterization that is
4 qualitatively addressing the subacute dietary
5 studies.

6 So the analysis, what we've done is there's
7 been 181 pesticides new to the agency of
8 conventional pesticides based on the annual reports
9 from 1998 to 2016, and of these, 119 of the
10 chemicals have publically available eco risk
11 assessment documents. Of these 119, 79 of the
12 chemicals did not have an RQ value calculated. Most
13 of those, 70 of them it's because they were limit
14 tests. There were no effects noted at the highest
15 doses tested for the acute oral or subacute dietary.

16 In nine of the cases, there weren't RQ's
17 calculated because it was an odd kind of a
18 substance, indoor use, greenhouse use, that type of
19 thing. And in 40 of the chemicals from those 119,
20 there actually were RQ's that could be compared. In
21 37 of those cases, the acute oral dominated the
22 dietary and drove the risk assessment, meaning that

1 the acute oral RQ was higher than the subacute
2 dietary RQ's. And in two cases the RQ's, we had
3 RQ's for dietary studies and no RQ's for acute oral
4 because the acute oral studies were based on limit
5 tests, where no effects were noted at the highest
6 concentration. But in those two cases, there were
7 no risks identified to birds, so acute oral data
8 would not have likely changed that risk conclusion
9 if we had RQ's for those.

10 And then in one case, we did have dietary
11 RQ's that were higher than the acute oral RQ's and
12 it was for an anticoagulant rodenticide, where you
13 kind of could expect that that might happen because
14 of the cumulative effects of those types of
15 pesticides.

16 So the bottom line of the analysis was that
17 in over 99 percent of the cases, 118 out of 119, the
18 subacute dietary approach did not change the risk
19 conclusion that was already reached using the oral
20 dose-based RQ's.

21 Now, there were 62 cases that were not
22 evaluated out of the 181 chemicals that have been

1 registered since 1998. So what we did was looked at
2 the mode of action for those, for those chemicals to
3 see if those, those chemicals that were not in the
4 analysis matched the chemical classes, any of the
5 chemical classes for chemicals that were in the
6 analysis, so kind of using them as an analog. And
7 we found that of those 62 cases, most of them had a
8 chemical class that was involved in the analysis.
9 There were only eight chemicals that were not
10 included at the chemical class level in the analysis
11 and they had unique modes of action, so they were
12 kind of unique.

13 So the bottom line in that is that the
14 majority of the unevaluated cases, those 62 cases,
15 the subacute dietary approach was represented by a
16 chemical analog or a member -- a chemical in the
17 same chemical class. Now, it did indicate that for
18 unique modes of action, we may need to do some
19 additional analysis in the future.

20 So the next step with this is that we are
21 currently developing a manuscript and hopefully for
22 publication in a peer-reviewed scientific journal.

1 PETA is the lead author on that and then agency
2 staff will be co-authors on that.

3 And EPA will be developing a policy guidance
4 document that basically, outlining the kind of
5 project that I just discussed here. And then we'll
6 be recommending that for new chemicals with
7 mechanisms of action that were covered in the
8 analysis that we rely really, we rely heavily on the
9 acute oral avian studies and hold the subacute
10 dietary studies in reserve.

11 And that we do recommend that for a certain
12 set of chemicals, those with unique modes of action,
13 cases where the data on the mode of action suggests
14 a mechanism of cumulative damage such as what we saw
15 in the anticoagulant rodenticide, those chemicals
16 that have a high potential for bioaccumulation or
17 facilitated transport mechanism for absorption, that
18 any kind of chemical that we think that the route of
19 exposure via the dietary route might be more
20 sensitive than the oral route, then we will need
21 additional information or may have to call in those
22 data.

1 And then as we move forward, we'll continue
2 outreach to our international and other partners and
3 then obviously any policy, before it goes final,
4 will have to go out for public comment.

5 Now another retrospective study we're
6 currently working on is dealing with our fish acute
7 lethal endpoint studies. And just a little
8 background there is that for most conventional
9 outdoor-use chemicals, we require three acute fish
10 studies, two freshwater fish, one warm water, one
11 cold water, and then also an estuarine marine fish
12 study. And so in these we usually, in the
13 assessments we'll use usually the most sensitive,
14 the freshwater endpoint as our regulatory endpoint
15 and then the estuarine marine fish for estuarine
16 marine fish as regulatory endpoint.

17 And so just the point here, that the
18 exposure estimates for each fish RQ calculation are
19 identical across the fish, whether it's freshwater
20 or estuarine marine. And so here, as you will see,
21 we won't have to compare RQ's in this retrospective
22 analysis. We can actually compare LC50 values.

1 So the question we're asking here is can we
2 confidently assess acute risk for fish using a
3 reduced suite of effects studies focusing on a
4 consistently most sensitive fish? Basically is
5 there a consistently most sensitive fish across all
6 compounds is one question we're going to ask.
7 Another one, if not, are there patterns of most
8 sensitive fish based on chemical properties,
9 chemical classes or modes of action? And can we
10 reduce the data sets to two or even one fish study?

11 For this project, we're collaborating with
12 NICEATM as our federal partner. And as I said
13 earlier, exposure is not a confounding factor here,
14 so we're actually going to be comparing the effects
15 endpoints in this retrospective and so we're
16 actually going back to the data evaluation records
17 or DER's for the studies that have been submitted
18 for the chemicals. And I'll just state, I think I
19 might have skipped this, we're going to be focusing
20 on the same chemicals that we're using in the avian
21 retrospective so those chemicals registered from
22 1998 to 2016.

1 So the data points will actually be
2 extracted from the data evaluation records. They're
3 going to be submitted to a shared drive. NICEATM
4 will then review the quality of the information, see
5 if there -- and cross walk with available structure
6 and mechanism of data.

7 So so far to date, we have shared about 250
8 individual fish toxicity records with NICEATM and
9 there's a little over 700 studies, fish studies
10 associated with these chemicals, so this is a subset
11 of the total. And what they're doing now, NICEATM
12 is looking through them to see if they're going to
13 be adequate, the information in there will be
14 adequate to do the type of -- answer the types of
15 questions we're asking. So they have the 250
16 studies now and they're going through them and so we
17 expect to hear within a few weeks back from them in
18 terms of getting feedback on whether we think we
19 should move forward with the additional studies or
20 how we should move forward.

21 So those are the two, the two retrospective
22 studies I wanted to talk about. Then there's also a

1 couple of groups that we're involved with. One,
2 ICCVAM had an organizing committee on predictive
3 modelling of rat oral acute systemic toxicity.
4 There was an organizing committee that was held, it
5 was a workshop in April, and we had participation,
6 as he said in -- on that committee. The objective
7 of the committee is to integrate the collective
8 expertise of the international modelling community
9 to develop predictive models for acute oral toxicity
10 based on regulatory needs put forward by ICCVAM.

11 And the role that we played there in EFED is
12 to basically make sure the EPA, the ecological risk
13 assessment perspective was considered in the
14 prioritization. Because a lot of this is driven
15 obviously by human health and toxicity, so we wanted
16 to make sure that as we move forward that the eco
17 part is considered as we move forward.

18 And we focused on methods most suitable for
19 application in a quantitative manner. As we said
20 previously, it needs to be fit for purpose and we
21 wanted to make sure there's transparency and
22 consideration to the mechanism of action, a high

1 degree of documentation for the method and any
2 method would have to have an accuracy in predicting
3 the LD50. And then EPA selection criteria led to a
4 proposed methods selection that was highly
5 consistent with other agency priority selections.

6 And then another group that ICCVAM has
7 started, it's a new ecotoxicity working group and
8 EPA will be represented on the group and also will
9 be a co-chair, so Ed Odenkirchen will be a co-chair
10 of that workgroup. A draft charter has been
11 developed and the charges for the group are
12 basically to identify agency needs across the United
13 States for different agencies, what the ecotox data
14 requirements and needs are, and also move into the
15 international data needs also but in a catalog
16 existing approaches to toxicology testing for
17 emerging technologies to see where they might fit
18 with the data requirements and needs for the
19 different agencies.

20 And then the plan is to establish a
21 stakeholder group comprised of both government and
22 non-government scientists to coordinate efforts

1 towards developing and implementing alternative
2 approaches for ecotoxicology testing.

3 And then a final kind of group I wanted to
4 talk about today is that there is -- we'll be
5 participating in a toxicology forum which is -- will
6 be a meeting this summer in July in Annapolis and
7 the objective of the toxicology forum, if folks
8 aren't familiar with it, it's an international
9 nonprofit organization and it's really devoted to
10 creating an open dialogue among various groups in
11 the society, primarily for experts of U.S. and
12 international government regulatory and health
13 agencies to get perspective on issues of mutual
14 interest. And so some of the topics that will be,
15 session topics at the meeting that we'll be involved
16 with is, one is building on the science, possible
17 opportunities to reduce toxicology testing and
18 better allocate resources for evaluating ecological
19 risk and, and Tom Steeger in EFED will be chairing
20 that session, I believe.

21 And then there's integration of
22 toxicokinetics and kinetically derived maximum dose

1 into toxicity testing and risk assessment. And then
2 U.S. FDA's predictive toxicology road map.

3 And just in closing, I just wanted to
4 reiterate a couple things. One is that EPA is
5 committed to reduced animal testing burden but we
6 want to do that without compromising the quality of
7 the risk assessment process and that's the fit for
8 purpose that we've talked about throughout this
9 session or this talk today.

10 We are, as Kimberly mentioned, interested in
11 considering ideas for additional projects, so we
12 would like to hear feedback on that from folks.
13 We're operating under of a set of principles to
14 achieve streamlined testing, alternative method
15 endpoints for, as we said, fit for quantitative
16 ecological risk assessment.

17 And we are considering different mechanisms
18 for policy and guidance, and one of those is things
19 like waiver guidance. And then we intend to partner
20 with government and private stakeholders, and so
21 we're looking for feedback and thoughts on who, you
22 know, if you guys have ideas and thoughts and

1 suggestions on who we can include in these
2 discussions. And then we're open to other ideas and
3 opportunities for collaborative work in the future,
4 in future retrospective studies. So if folks have
5 ideas for those, we're open to that, too.

6 MR. KEIGWIN: Thanks, Melissa. Questions?

7 Amy.

8 MS. LIEBMAN: Thanks, everyone, for the
9 update on this. I have a couple of questions.
10 First of all, I think -- I don't think there's any
11 argument it's great that you're trying to reduce the
12 animal testing, but particularly in light that the
13 EPA is about to propose rules that will gut
14 protections for people exposed to pesticides, I'm
15 just curious as to where you are in terms of some of
16 your population and exposure data that's part of the
17 whole 21st Century toxicology approach.

18 And also, you know, we talked a long time
19 ago about some biomark hearing, and EPA does have
20 the regulatory authority to request that in terms of
21 the registration process. What's happening in that
22 area?

1 MS. LOWIT: So I can talk a long time on
2 where we are on tox A-1 and not everyone wants to
3 hear me jibber-jabber for that long. I know you
4 don't. So we're advancing the science with respect
5 to modernizing our risk assessment approaches on
6 many fronts. I think one of the ones that really
7 highlights what you're asking about is advances
8 we're making in physiologically based
9 pharmacokinetic modelling or what people called PBPK
10 modelling. If you're not familiar with that
11 acronym, essentially a PBPK model is a set of
12 differential equations of known human physiology so
13 you can make very accurate predictions of how
14 someone is exposed from the outside and what
15 happens, where that compound goes in their body and
16 the frequency and the speed at which they eliminate
17 that.

18 And it's a very powerful tool that allows us
19 to look at specific life stage effects, gender
20 effects. You can make very scenario-specific
21 evaluations of a child playing on the lawn versus a
22 worker working in the field and make very explicit

1 refined assessments of those to ensure that we're
2 doing accurate and predictive assessments. And
3 those models also have the power of doing full-on
4 population based evaluations using Monte Carlo and
5 different kinds of techniques.

6 And we are active in this area. We have
7 multiple projects looking towards advancing PBPK for
8 both individual chemicals but as a science in
9 general. We have a lot of projects in that area
10 that I think is what you're talking about.

11 MS. LIEBMAN: Thank you. My next question
12 is I'm just curious in terms of some of the work
13 that you're doing in this area and there's another
14 proposed rule out right now about sensing
15 transparency in regulatory science and I'm wondering
16 how, how it is currently proposed, how that will
17 impact the work that you're doing?

18 MR. KEIGWIN: We're reading the proposed
19 rule as well and evaluating that ourself and we
20 would encourage anyone who has perspectives on that
21 proposed rule to submit comments to the docket for
22 that proposed rule.

1 MS. LIEBMAN: Our initial reading of that is
2 that it's pretty dramatic for some of the work that
3 you're attempting to do.

4 MR. KEIGWIN: We're in the process of
5 evaluating how it would impact the program. We
6 encourage you to submit comments.

7 MS. LIEBMAN: And I guess I want to just
8 keep encouraging everyone to remember people in the
9 process and that when we regulate pesticides and we
10 use them, people are exposed and they're human
11 beings. I just want to say that for the record.
12 Thank you.

13 MR. KEIGWIN: Thanks, Amy. Any other
14 comments? Lori Ann.

15 MS. BURD: I commend this office for its
16 efforts to reduce animal suffering in the lab and
17 also remind you all that animals are suffering in
18 the field where these pesticides are used across
19 hundreds of millions of acres and most generously,
20 but this office is making incredibly slow progress
21 on Endangered Species Act consultations. So as we
22 factor in people and lab animals, we should also be

1 factoring in the suffering experienced by all these
2 species that are not having any analysis done on the
3 impact of these pesticides on them.

4 MR. KEIGWIN: Dan.

5 MR. KUNKEL: Thanks, Rick, and I just wanted
6 to shout out also, it's great work. It's really
7 good to see all the progress that's been made over
8 the years. From I guess our perspective with minor
9 uses, it kind of resonates back to using crop groups
10 to extrapolating to really address some of the minor
11 use issues. So we really appreciate the work with
12 crop groups and some of the other chem sac decisions
13 to set standing policies for extrapolations to some
14 of the other ultra minor crops. I think we would
15 just like to continue to encourage you to look at
16 other areas where you can extend data or reduce data
17 requirements, where we can use extrapolation and
18 good science and models to deal with that.

19 And my last comment would be, again, just to
20 make sure we're in tune with the other international
21 regulatory agencies, that we're not doing something
22 that's going to -- well, we're going to reduce data

1 requirements here in the U.S. and not address some
2 of the requirements in other areas of the world. So
3 thanks.

4 MR. KEIGWIN: Jay.

5 MR. VROOM: I have a couple comments about
6 tox 21 but just to respond to a previous comment, I
7 believe it's a matter of extensive public record
8 that there is an incredible amount of ecological
9 risk assessment testing, including on wildlife
10 species in all places in the United States the EPA
11 collects, receives and analyzes in ecological risk
12 assessment and so I just couldn't leave that comment
13 left unanswered.

14 With respect to tox 21, topics both the
15 acute and the environmental risk assessment, two
16 questions. One is where else can this go beyond the
17 two areas that you've just addressed in the two
18 presentations? And secondly, what do you see is
19 advancing in traditional toxicological testing?

20 (Teleconference interruption.)

21 MR. KEIGWIN: Let's regroup, so we are going
22 to kick off the last session of the afternoon before

1 the public comment period with regulatory updates.

2 What we'll do in this session is we'll have the

3 three speakers do their presentations and then we'll

4 open it up for questions. So Yu-Ting Guilaran, who

5 is the director of the Pesticide Re-Evaluation

6 Division, has an update for us on progress in

7 registration review.

8 Mike Mendelsohn, who is the branch chief in

9 the Biopesticides and Pollution Prevention Division,

10 has a presentation for us on some novel mosquito

11 products and then Bob McNally, who is the director

12 of the Biopesticides and Pollution Prevention

13 Division, has an update for us on the new types of

14 biopesticides in general that we're seeing in the

15 registration queue. So let me first turn things

16 over to Yu-Ting.

17 MS. GUILARAN: Good afternoon, everybody. I

18 hope you're -- I'm going to try to bring you back on

19 schedule now. No, I never listen to him. That's

20 what he says. I'm listening now. I will keep up

21 with the pace.

22 So like Rick said, I'm Yu-Ting Guilaran,

1 director of the Pesticide Re-Evaluation Division. I
2 just wanted to start from kind of the beginning, I
3 know there are a few new faces here, is that
4 registration review of a pesticide is a statutory
5 mandate as part of FIFRA, section 3G. That means
6 the agency needs to review each registered pesticide
7 every 15 years. So overall across the program, I'm
8 overseeing the conventional pesticides, while Bob
9 sees, the biopesticides, Anita Pease, who is the
10 acting antimicrobial division director. All
11 combined we have about 725 cases that's going
12 through the registration review program.

13 And that means it's about, a little bit over
14 a thousand active ingredients that we're looking at.
15 And we have to finalize this round of review by
16 October 1, 2022. So time is coming up pretty fast.
17 It's about four and a half years left.

18 So for the registration review program in
19 general across OPP, I think you guys have a sheet
20 that's in your packet. Basically as you can see
21 overall speaking, we're about 50 percent complete
22 with our draft risk assessment. Folks probably know

1 we start with a docket opening of work plans,
2 talking about data gaps that we have, the risk
3 assessment that we plan to do. That's the work
4 planning. And then we issue data call-in to get all
5 the studies in, and now we're kind of in the process
6 of developing draft risk assessments. So we have
7 about 50 remaining to do, 50 percent rather.

8 And then for the next step which is the
9 proposed interim decision, that will take the risk
10 and the benefit of the chemical into consideration
11 in determining whether or not any risk mitigation
12 needs to be done. We're about 50 percent remaining
13 to do, and similarly with our interim decisions. So
14 that's kind of overall for the program.

15 Kind of diving in a little bit into the
16 conventional program, which is my division, we are
17 doing pretty well. We have 40 percent of our risk
18 assessments left to do and then we have about 50
19 percent proposed interim decisions and interim
20 decisions. So that's kind of the overall big
21 picture of what's happening with the registration
22 review program for the conventional chemicals.

1 So I think in your one-pager, we also have a
2 few things that we are intending to do for FY18. I
3 think generally we're trying to complete about 55
4 cases of both the risk assessment and also proposed
5 and interim decisions.

6 So I am going to go into some of the higher
7 profile chemicals that's going to happen for the
8 remaining of 2018 and perhaps slightly going into
9 the early of 2019. Number one is our Neonics. So
10 we have the four Neonics that's going through
11 registration review right now. The status update is
12 in your sheet, which is we already issued all the
13 draft risk assessments, including both the
14 pollinator and also the non-pollinator risk
15 assessment and the comment period is for, they kind
16 of came up at different times throughout 2016 and
17 2017 and the last batch of the draft risk
18 assessment, the comment period just closed the end
19 of April.

20 We're currently considering all the public
21 comments. Well, first the docket step, we have to
22 load, all the public comments in, but so far we have

1 a million comments that we have received.
2 (Inaudible). We have a million comments we
3 received. So we're going to have to go through
4 those comments and work with EFED Marietta's shop to
5 figure out if we need to make any revision to any of
6 the draft risk assessments and then basically start
7 to look at the benefit assessment associated with
8 these pesticides.

9 We have also at the same time as the latest
10 batch of draft risk assessment, issued the draft
11 benefit assessment for cotton and citrus. So we
12 will be looking through those comments as well. And
13 that is prepared by our division BEAD, the
14 biological and economic analysis division. So
15 considering both the risk and the benefit, we're
16 planning to hopefully try our best to propose
17 interim decisions by later this year and then trying
18 to come out with our interim decision by 2019. So
19 that's for the Neonics.

20 For Glyphosate, we issued our draft risk
21 assessment also back in 2017. The comment period
22 for that, we had a 60-day extension I believe, also

1 just closed as of Monday. So so far, we have about
2 7,000 comments received. We set up a separate email
3 box just as well and we have about 75,000 emails to
4 go through and try to gather information and
5 consolidate that with the comments. So we'll be
6 spending a lot of our time in the remaining of 2018
7 going through the public comments that were
8 submitted and working with HED, Dana Vogel's
9 division, to figure out if we need to revise the
10 risk assessment based on either new data or comment
11 that we receive. And then we're also hoping to
12 propose the interim decision by this year, and in
13 2019 hope to issue the interim decision.

14 So another group of chemicals I think folks
15 are interested in is Pyrethroids. For that we
16 issued the ecological risk assessment a little bit
17 earlier and we tried to streamline that and there's
18 about 20 chemicals right here, 20 active ingredients
19 in this group. And we have also completed a draft
20 risk assessment for the human health piece of this.
21 So some of the human health risk assessments go out
22 for comment so in the meantime, we're starting to

1 look at ecological risk assessment comments, which
2 is about, a little bit over a thousand, 1400
3 comments that we have received and trying to start
4 to look at the benefit associated with this group of
5 chemical and trying to figure out if we should take
6 a look at the ecological risk-mitigation first.

7 And so that is currently still on schedule
8 in terms of what we're planning to do is hopefully
9 come out with some proposed interim decision by the
10 end of this fiscal year as well. So as you can
11 tell, it's going to be fairly busy for my division.

12 And Rick knows that, right? Yes. He's
13 nodding, so.

14 And then the last group and not the least is
15 the fumigants, so structural commodity fumigants
16 which is already information on your one-pager. So
17 we have been working with the registrants and also
18 NPMA on addressing the OIG report that came out last
19 year. At the same time, we are going through the
20 data that have come in, trying to get our risk
21 assessment together by 2019, so this group is a
22 little bit behind the schedule compared to the

1 previous three that I spoke about. So we're
2 planning to do proposed interim decision and interim
3 decision 2020 and '21. So that's an update on the
4 conventional registration review program.

5 MR. KEIGWIN: So I think, Mike, you were
6 going to go next.

7 MR. McNALLY: I'm going to go next.

8 MR. KEIGWIN: Oh, you're going to go next.
9 Okay, great, thanks, Bob.

10 MR. McNALLY: Try it again. Hello. So
11 thanks, Rick. I just want to talk little bit about
12 the biological pesticide program we have within the
13 office. As you see here, this is kind of the
14 mission statement for all of OCSPP, and I want to
15 try to differentiate a little bit about what we do
16 in the biopesticide program.

17 So in essence we're a stand-alone division.
18 So Yu-Ting just talked about the registration review
19 program. That's something that's done within our
20 matrix within OPP, so we have the Health Effects
21 Division, the EFED folks and others working together
22 to handle conventional pesticide registration

1 review. In our case, all the science resources or
2 all the regulatory resources, all the policy
3 resources are within the division.

4 Now, there's three categories of
5 biopesticides in general. The first category would
6 be biochemical pesticides. So something like kaolin
7 clay would be a natural substance that would be
8 classified as a biochemical. These are things that
9 are naturally occurring. They have a non-toxic mode
10 of action and there's a history of minimal toxicity.
11 So those are biochemicals.

12 The next category is microbial pesticides
13 and my colleague, Mike Mendelson, will be speaking
14 to you a little bit about Wolbachia mosquitos. That
15 would be a microbial pesticide. Now those are not
16 genetically engineered type of pesticides or GMOs or
17 biotech. They're completely different.

18 The third category that we work on in my
19 division are biotech pesticides. So those of you
20 who are familiar with Bt corn, for example, or Mike
21 will speak a little bit genetically engineered
22 mosquitos, those types of biotech products are also

1 handled within BPPD.

2 So what I want to cover today is sort of
3 some of the nuts and bolts of our results and how we
4 do our work, but I also want to also cover a little
5 bit about some of our key policy issues to give you
6 a flavor of the types of issues we confront in our
7 program.

8 So this is just a snapshot of what we did in
9 2017. We registered nine new active ingredients, so
10 again, we're doing both registration and
11 registration review. That's some of the work we did
12 in registration review last year.

13 One thing I do want to point out is the
14 electronic label submissions, how important that is.
15 We had over 500 last year. That is an upward trend
16 and we want to try to keep those numbers going. We
17 think it's efficient for the regulating community.
18 It's also efficient for us to utilize that
19 technology.

20 The next slide here is sort of a graph of
21 our renegotiation rate since 2010. And as you see,
22 in 2010 it was roughly 60 percent and today it's

1 roughly 14 percent. Now, you might wonder why that
2 is. And I think there are two major reasons as to
3 why we've seen the decrease.

4 First, we've really put an emphasis, not
5 just in my division but all divisions, on the
6 initial screen. So when a package comes in, we want
7 to make sure it's ready for prime time and can get
8 through the entire process. So we emphasized that
9 initial screen in the last several years to try to
10 move packages out that aren't ready to go through
11 the rest of the process.

12 I think the second reason is better
13 communication between the regulated community and
14 the staff in BPPD, to kind of clarify expectations.
15 We have what's called a presubmission meeting. So a
16 registrant will come in and we'll talk about kind of
17 what they have in mind. To some extent there's some
18 coaching going on there and some problem formulation
19 to make sure when we embark on this, we kind of know
20 where we might be going. And that doesn't mean we
21 might get something rejected at some point down the
22 road.

1 The best example or analogy I can use about
2 the screening process is how many people here took
3 an airplane to the meeting and came through Reagan
4 Airport? Anybody? So the airport that you left
5 from, there's a screening process we go through to
6 get on the airplane. And those of you who are
7 seasoned travelers, you know what to do. You know
8 to take out your laptop, your iPhone, your keys, you
9 put them on the thing and you move right through.
10 You know, we all know people who travel once every
11 ten years and they're the ones up there emptying
12 their pockets while you stand in line waiting to get
13 through to get on your airplane.

14 So I think what we're trying to do with the
15 technical screen is the same thing. We want the
16 registrant to meet, to make their destination, which
17 is a PRIA registration on time, and if that means
18 taking people out of line who aren't quite ready
19 yet, we think that's an effective tool.

20 So when I started in BPPD about five years
21 ago, I think it was Nina Wilson or someone else in
22 EPA pulled me aside and said, look, there's going to

1 be this growth spurt in biopesticides, so get ready.
2 Now, if this were Apple stock, I wish I had invested
3 in 2015. You see there's been a precipitous
4 increase in these types of products to the point
5 where in 2018 and 2019 combined, we could make as
6 many as 60 registration decisions for new AI's.
7 Mostly the new AI's in OPP come through
8 biopesticides, I would say roughly two-thirds are in
9 my division and the other third might be in the
10 antimicrobial and the conventional world. So
11 clearly there's an interest in this technology.

12 The next slide gives you a flavor for the
13 types of decisions we have pending, what's been
14 accomplished thus far and the type of pesticides
15 that we're looking at. So as you see, we've
16 registered I think about eight or nine. We have
17 another two or three that will be done this month.
18 There's some that are pending and some that have
19 been withdrawn and some that have been rejected.

20 Now that rejected number is a bit of an
21 outlier. Normally we have about 20 to 25 percent of
22 the applications to get rejected or withdrawn. This

1 year it's much higher so far. I think there was one
2 application that had four or five similar new AI's
3 that were all rejected for the same reason.

4 So as you see on the right there, that's the
5 list of the ones we registered thus far. Mike will
6 be speaking more about Wolbachia in a few minutes.
7 My sense is the rest of the year we'll finish with
8 about 15 or 16 registrations for the biopesticides
9 program through the fiscal year.

10 A little bit of history on the program.
11 Since its inception, we've registered over 400
12 biopesticides. And the next bullet gives you some
13 sense of some of the most popular ones, you might
14 say, in terms of use. We had numbers of over 8
15 million pounds applied in 2015 is our best guess.
16 And the last bullet is several crops really seem to
17 be using a lot of biopesticides. You see the
18 distribution there.

19 Now I don't want to steal Mike's thunder
20 here, but we'll be talking a little bit about
21 Wolbachia and the mosquito registration we did last
22 year. This current section 3 registration is in 27

1 states. There are several experimental use permits
2 they're still working on for this particular
3 registration to expand that use. Basically the way
4 it works is there's some incompatibility between the
5 male mosquitos that are the Wolbachia mosquitos are
6 released into the wild to breed with the wild female
7 mosquitos, which have a different type of Wolbachia
8 that results in unsuccessful reproduction.

9 One thing I want to highlight, even though
10 we're a standing division, a stand-alone division,
11 is we use the same committee structure that the
12 conventional pesticide program uses. So we go
13 through these committees as appropriate. I think
14 for the most part, the one I would focus on for BPPD
15 is the first one, the HASPOC. Generally we've been
16 taking all our biochemicals through this particular
17 committee. It's an effort to make consistent
18 decisions across the office. We don't use the other
19 committees as much.

20 One thing in our program, we tend to have
21 from the registrant more often than conventional
22 waiver requests, rationale in lieu of data. And I

1 think the reason for that is in certain instances,
2 there might not be exposure potential. So for some
3 of the non-target studies, we don't necessarily need
4 those, let's say for aquatic species, and so more
5 often than not, we're going to have more of the
6 waiver requests and we want to go through HASPOC to
7 make sure we're making decisions in a consistent
8 fashion.

9 I just wanted to highlight this. So this is
10 not just for our division but all the programs in
11 OPP, that the acute dermal toxicity tests, we're not
12 encouraging these, and if you meet the criteria that
13 are listed there, you don't need to submit those.
14 Again, we have a lot of waiver requests to begin
15 with and again, the goal at the bottom is to try to
16 reduce the amount of animal testing to save
17 resources for everybody, including time for us to
18 review those studies.

19 As I mentioned, every year we deal with some
20 policy issues. I want to highlight just two this
21 afternoon. The first one deals with tolerances. I
22 think the main message in tolerances is that for the

1 most part in biopesticides, 99 percent of the
2 registrations we have have complete tolerance
3 exemptions for all crops. So no tolerances.

4 The reason for that is there's no hazard
5 endpoint. Now, there can be a rare case where there
6 may be a toxic endpoint that suggests a tolerance
7 might be appropriate and in that case, there may or
8 may not be a need for a tolerance. There could be
9 some conservative assumptions about exposure. There
10 could be a weight of the evidence argument presented
11 by the registrant, but even in those cases, there
12 might not be a need for a tolerance.

13 To illustrate kind of how we do our work in
14 the division, is every year we try to have at least
15 one policy issue we try to work with the industry.
16 So I see Keith Jones here, we worked with BPIA in
17 February and had a workshop dealing with tolerances.
18 The goal of these sessions is to try to figure out a
19 way that we can deal with an important issue to
20 industry or a stakeholder to kind of work through it
21 and provide some clarity in terms of what the
22 registrant needs to do or doesn't need to do. So

1 this year we dealt with tolerances and tolerance
2 exemptions.

3 I just want to highlight the last point
4 there on the slide. Again, these presubmission
5 meetings are critical. We really encourage the
6 members to come in and talk with us about what they
7 have in mind, and if there are hazard endpoints,
8 which happens rarely, let's kind of talk about what
9 that involves. Does it involve some kind of
10 rationale that would suggest you don't need a
11 tolerance or do you need to do residue data?

12 I suspect Rick and Arnold and Ed probably
13 have talked about this already, but PRIA 4 in the
14 budget, the key thing I want to highlight here is
15 the third bullet under PRIA 4, which is there could
16 be changes that deal specifically with microbial and
17 biochemical pesticides. So for example, just like
18 the rest of OPP, we would go to the two-day label
19 review. There might be some new codes for plant
20 incorporated protectants. There might be a slightly
21 longer timeframe for new AI's and there could be a
22 fee for a pesticide determination. So those are the

1 changes, the key changes that would affect the
2 biological biopesticide program.

3 Another key policy area, I mentioned
4 tolerances, is the whole biostimulant area. Is
5 there anybody here today who is in the biostimulant
6 industry field at all? Anybody? Okay, I see a few
7 hands.

8 So why is this important to OPP? Well,
9 those of you who know FIFRA, we have a provision
10 dealing with plant growth regulators. And you see
11 the definition there, anything that meets those
12 criteria has to come in and be registered, just like
13 any other pesticide.

14 So one thing we're doing this year is
15 putting out guidance to help the regulated community
16 to get a sense of when they have to come in and see
17 us because they're a plant growth regulator, even
18 though they may call themselves a plant biostimulant
19 and when they do not have to come in. So if it
20 triggers that requirement, then they need to get
21 registered. And we think this is an important
22 clarity for industry because I think sometimes

1 there's confusion whether or not you have to be
2 registered by EPA or you don't.

3 Now biostimulants, as I understand it, are
4 increasing in importance in the agricultural
5 industry. These are products that help farmers.
6 It's not just a growth in this country but also in
7 Europe, and so this is a developing field. I think
8 the goal here is to provide clarity in the guidance
9 on what label claims would trigger FIFRA and what
10 label claims would not trigger FIFRA.

11 A good way to look at this, you know,
12 there's fertilizers, which I think we all know what
13 those are. There's pesticides and then there's
14 biostimulants. So those are sort of three
15 categories. There's a lot of confusion, I see some
16 state folks here at the state level, as to what
17 falls into which category. So one of the goals of
18 the guidance is to provide more clarity, not just to
19 industry stakeholders but also to states to
20 understand, you know, what the definitions are.

21 There's also been a lot of work in Europe in
22 this whole area of biostimulants. So an example of

1 a biostimulant would be something that might enhance
2 water uptake in a plant, whereas an example of a
3 pesticide that's a plant growth regulator might be
4 something that accentuates or accelerates the
5 ripening of the fruit. So there's a little bit of a
6 delineation in terms of the categories if you're not
7 exactly clear.

8 Now in FIFRA, there's certain things that
9 are specifically excluded, and you see those on this
10 slide here. Those four are mentioned by name. They
11 do not have to be regulated under FIFRA. And the
12 guidance will also expand a bit on those topic as
13 well.

14 Again, for those of you who have been
15 looking for the guidance, I apologize. It's taken
16 longer than we thought. We have to go through an
17 agency clearance process. Our goal is to get it out
18 this year, so if you bear with us, we hope to have
19 that out for comment in the latter half of 2018.

20 So I've covered a lot of the pesticides. I
21 also want to cover something that's also in our
22 division, integrated pest management. As I look

1 around the room, I see some folks here who were
2 involved in the PPDC over the years dealing with
3 structural IPM, so that's been part of our program.
4 I just wanted to give an overview of how this works.

5 That's kind of the pyramid of IPM. The
6 first one is set action thresholds. Just a
7 take-home point here is if you see one insect, don't
8 panic. You know, that's only one insect so maybe
9 you're okay.

10 Monitor and identify, the second one, is
11 maybe there are a lot of insects but upon further
12 identification, they're beneficial insects. So
13 maybe you don't need to do anything in terms of
14 taking any action at that point.

15 The third category is prevention and it's
16 sort of in the ag realm. That might be crop
17 rotation, a way to address an insect problem. It
18 also might be putting screens on windows, for
19 example, in a structural sense. So that's an idea
20 of prevention.

21 And the last item is control at the base
22 there, which is you would treat with pesticides as

1 appropriate if you do, in fact, have a pest problem
2 and you haven't been able to address it otherwise.
3 This is just an overview of how we would deal with
4 IPM in the agricultural sector.

5 You know, those of you who have been around
6 a while, we had a SAI, the Strategic Ag Initiative.
7 A number of years back we worked very closely with
8 growers. Part of that was IPM. You know, more
9 recently we've had a series of webinars. I don't
10 know if any of you participated in webinars we've
11 had on structural IPM, we have them monthly, or on
12 mosquito vector-borne type issues, and those are run
13 monthly out of our Dallas Center of Expertise. And
14 generally we get 200 or 300 people attending those
15 webinars. A lot of them are state and local
16 government officials who want to understand more
17 about IPM and we view those as a real successful
18 outcome.

19 So let me wrap up, the outlook for the
20 future. As predicted, there's been a surge in these
21 applications. The vast majority of these are not in
22 the biotech realm. They're in the microbial and

1 biochemical realm. The 60 applications there, I
2 would say 55 are biochemical and microbial and the
3 remaining ones are sort of the biotech area.

4 Obviously if PRIA 4 passes, we'll implement with
5 those provisions I highlighted that are specific
6 biopesticides.

7 I don't want to steal Mike's thunder but to
8 sort of tee up some of his issues, he's the emerging
9 technologies branch chief. We see a lot of
10 innovations coming down the road, gene mosquito,
11 gene editing, RNAi interference. The one commitment
12 I make to this group, and we've done this before, is
13 if you all would like to hear more about any of
14 these technologies, let us know and we'll be happy
15 in future PPDC's to give you an overview and some
16 examples that might be useful for you to consider.

17 And last but not least, we hope to get the
18 biostimulant guidance out to help stakeholders
19 understand when they do or don't have to come in to
20 see us. So you can ponder this on your way home
21 tonight. And with that, let me turn it over to Mike
22 Mendelsohn. He'll talk some more specifically about

1 the mosquito technology. Thank you.

2 MR. MENDELSON: Great. Thanks, Bob.

3 Good afternoon. As Bob mentioned, I'm Mike
4 Mendelsohn, chief of the Emerging Technologies
5 Branch, and I'll share with you some information
6 about some of the novel mosquito products we're
7 looking at right now, some very exciting things we
8 have. And I'll be talking about Wolbachia. As Bob
9 said, we consider that a microbial pesticide because
10 it's a microorganism, Wolbachia, a microorganism
11 that's causing the effect and then also some GE
12 mosquito product that we're looking at.

13 So this slide here, the two species that are
14 currently being targeted are the *Aedes albopictus*
15 and *Aedes aegypti*. And just want to talk a little
16 bit about them, of course, the *Aedes albopictus* is
17 also known as the Asian tiger mosquito. It prefers
18 forested areas, is active during the day. It can
19 carry Zika and other diseases and it's invasive to
20 the U.S. That map there shows its estimated range
21 in the U.S.

22 *Aedes aegypti*, or the yellow fever mosquito,

1 is anthropophilic or it prefers humans, is active
2 during the night. It's a major carrier of Zika and
3 it's also invasive, and that blue shows its
4 estimated range in the U.S.

5 Now current methods for mosquito control
6 include adulticides, both fogging and spraying,
7 larvacides, and the use of IPM. And I'll talk a
8 little later here, we did register Wolbachia in
9 November so that's also a tool.

10 I'm first going to talk a little bit about
11 Wolbachia mosquitos. And as we mentioned earlier,
12 EPA regulates the Wolbachia as a microbial
13 pesticide. Wolbachia is a bacterium that is
14 estimated to occur naturally in over one million
15 insect species, including mosquitos. It's been
16 around for a while and it's been out there. The
17 bacterium resides within mosquitos throughout their
18 lifespan and the mosquito bacterium combinations are
19 often fixed, so specific species with specific
20 Wolbachia.

21 And what they figured out is if you take a
22 different Wolbachia and put it into the mosquito, it

1 ends up providing sort of a sterile insect release
2 effect. So the Wolbachia is a ZAP strain, we're
3 talking about, occurs in the common house mosquito
4 which is Culex, while the two other strains are
5 present in Aedes albopictus. And essentially what
6 the technology does is it switches the strains in
7 the mosquitos and that provides control when you
8 release the male mosquitos.

9 The presence of Wolbachia can cause
10 reproductive failure in mosquitos when mating
11 partners carry different strains of the bacterium.
12 When Aedes albopictus males carrying the ZAP strain,
13 that's the current product we have registered
14 MosquitoMate, mates with females that carry the
15 natural strains, the offspring's development is
16 arrested and they will not reach adulthood. So it's
17 a cytoplasmic incompatibility they call it that
18 prevents the offspring from surviving. So that's
19 the method. That's kind of the mode of action for
20 the Wolbachia mosquitos.

21 Now, Oxitec has submitted applications to
22 the agency for using another technology that

1 achieves roughly the same thing as far as the
2 sterile release. Regarding that, FDA was previously
3 overseeing this, and in 2017 they finalized guidance
4 that moved that jurisdiction to EPA. This was
5 following through with what we had -- what was put
6 forward in the biotechnology strategy that went out
7 in 2016.

8 The mechanism of action for the Oxitec or
9 the GE mosquitos is they carry two additional genes,
10 tTAV and DsRed, which they pass on to the next
11 generation when they mate with wild type mosquitos.
12 Essentially what happens is the mosquitos produce a
13 lot of the tTAV protein which interferes with
14 regular cellular functions and the mosquitos die
15 before reaching adulthood. The DsRed is used as a
16 marker so they can tell which mosquitos are GE. So
17 essentially the Oxitec genetically engineered
18 mosquitos and the Wolbachia both act by preventing
19 the offspring from surviving. And the technology
20 that's using by releasing male mosquitos, you
21 prevent the population from increasing.

22 This is another diagram here explaining the

1 Wolbachia, MosquitoMate's Wolbachia mosquito. And
2 let's see here. I don't want to get anybody in the
3 eye there. If you look at the picture, the little
4 blue dot, that's supposed to represent one type, one
5 strain of Wolbachia that's in the mosquito. And as
6 you can see in the first diagram, the male and the
7 female have the same type of Wolbachia, the
8 offspring have the same type of Wolbachia and they
9 survive into adulthood.

10 The second diagram here shows two different
11 colors, one is yellow and one is blue, just to show
12 different strains of Wolbachia in the mosquito and
13 when they mate, the offspring are not viable. They
14 don't survive.

15 Again for the -- let's see here. Let me go
16 forward here. Okay. This shows the situation with
17 the Oxitec or the GE mosquito. As you can see here,
18 on the left part of the slide, the little gray
19 circles represent the tTAV protein. And when
20 they're growing this in the lab, they're growing up
21 all these mosquitos, they have tetracycline which
22 interferes with the tTAV. When they go into the

1 wild, the tTAV is not suppressed, and as you can
2 see, there's a whole lot of this gray circle. Those
3 gray circles represent tTAV being produced and when
4 that's produced, it interferes with the cellular
5 machinery and again, the result is is that the
6 progeny or the offspring don't survive to adulthood.

7 Okay. I want to point out a couple of
8 things here, here we go, about the slide, about the
9 technology here. So here is some commonalities
10 between MosquitoMate and the Oxitec products. You
11 can see on the left there, this is from Oxitec and
12 then below is MosquitoMate. They're releasing the
13 male mosquitos into the environment. So basically
14 how this works is that the mosquito control
15 authorities and the folks that are doing this have
16 to release lots of these male mosquitos.

17 Another technology that has and we have an
18 EUP, is some trucks that blow them out, but they're
19 essentially releasing thousands of these male
20 mosquitos. So the release of live adult male
21 mosquitos in the environment. The offspring of
22 these males cannot develop into adulthood, much like

1 many of the sterile release programs that have
2 successfully been done by USDA. There's a species
3 specific effect, so really, you're only affecting
4 the species that you're releasing the male
5 mosquitos. Right now the Wolbachia product that we
6 have out there is for the Asian tiger mosquito.
7 That's the only mosquito species that is being
8 controlled by that release. Similarly for the Aedes
9 aegypti, if you're releasing those mosquitos, those
10 would be the mosquitos that would be controlled.

11 And then again, it reduces the mosquito
12 population by hindering the successful reproduction.
13 I want to point out that the two pictures at the
14 bottom there kind of show some of the benefit as far
15 as the release. All those little red dots in the
16 kind of grayish, that's kind of an aerial photo of a
17 neighborhood, and those would be where all the
18 larvacide would have to be placed in the
19 neighborhood, whereas these green circles on the
20 right show the areas of release for the Wolbachia or
21 for the Oxitec or Wolbachia.

22 What that means is that the mosquitos can

1 fly around and they can fly into areas that are hard
2 to get to. You don't have to apply the larvacide.
3 You're not having to apply in the same degree that
4 you are with the larvacide.

5 And then another thing to point out here is
6 that only the female mosquitos bite, so we're
7 releasing -- the male mosquitos are being released
8 but it's the females that bite.

9 A couple other points to make here, special
10 considerations for both products. That first square
11 there shows the release point as opposed to where
12 the mosquitos disseminate. The dissemination is
13 mosquito-dependent. The release point is not equal
14 to treatment area. You release the mosquitos and
15 they fly away. It's a broader area than where
16 they're actually released.

17 Efficacy testing and claims are unique among
18 mosquito control products for these. And again, the
19 other thing is that these can get where other
20 products can't because the mosquitos are flying away
21 from where they're released.

22 The second block there, health of released

1 mosquitos, is a consideration. We have to consider
2 the age of the mosquitos at the time of release.
3 They need to be viable and able to release and mate.
4 Handling conditions during shipping is a
5 consideration, and fitness cost of the new trait.
6 So again, these are some of the considerations that
7 EPA evaluates in looking at these products.

8 The next issue below there, that block is
9 the density of the existing wild mosquito
10 population. You have to kind of fine tune how many
11 mosquitos you're going to release based upon how
12 many mosquitos are in the treatment area. You
13 adjust the release numbers according to population
14 density.

15 The last thing I want to mention here about
16 special considerations for these types of products
17 is accidental female release. So we need to make
18 sure that the females are not being released, ID the
19 mosquito species, species specific to make sure that
20 female mosquitos are not being released and there's
21 a monitoring program in place. Also there's human
22 health risk considerations. One of the things we

1 look at is to make sure that the mosquitos that are
2 being released are not carrying disease and that
3 they're not, they're not females.

4 I want to mention a couple of things about
5 the current status right now. EPA, as Bob
6 mentioned, issued a registration in November for the
7 Wolbachia ZAP strain in the Asian tiger mosquito or
8 the albopictus for five years in several states. We
9 also issued experimental use permits and
10 experimental use permit amendment extensions that
11 allow experimental field testing and release of both
12 the Aedes aegypti and the albopictus in several
13 states, Florida, Texas, California for the aegypti;
14 and Florida, Hawaii, Texas and Virginia for the
15 albopictus. And for both of these, field efficacy
16 data is needed to support label claims for
17 registration. And the current states that were
18 approved for the ZAP strain had existing efficacy
19 data that was sufficient to support those uses.

20 I want to also mention that Oxitec, that's
21 the developer of the genetically engineered
22 mosquito, has submitted both an experimental use

1 permit and a registration application to EPA. Both
2 are currently under review. And for the
3 experimental use permit for Oxitec, the Federal
4 Register notice of receipt comment period, we're
5 reopening that for another time, for another month
6 to allow more time for public comment.

7 That's it. Thanks. If you have any
8 questions, let me know.

9 MR. KEIGWIN: Thanks, Mike.

10 Questions, comments for Yu-Ting, Bob or
11 Mike.

12 Eric.

13 MR. GJEVRE: Where is your presentation
14 available?

15 MR. KEIGWIN: So the presentation should be
16 on the PPDC website.

17 MR. KEIGWIN: Stan, then Jim, then Michelle.

18 MR. COPE: Thanks for the presentation,
19 Mike. And Rick I want to publically go on record
20 from the AMCA of thanking EPA for giving the
21 mosquito control people some more tools in our
22 toolbox. Because you know better than anybody that

1 we've been asking for them.

2 Three points. These two mosquitos are not
3 only driving some of this innovation but they're
4 also driving a huge uptick in private industry
5 mosquito control, because of the fact that they do
6 occur in people's backyards, primarily in artificial
7 containers. And so the conventional mosquito
8 control methods that have been in use for 60, 70
9 years really don't impact them very much. The
10 typical truck driving through a residential area in
11 the evening putting out an ultra low volume does
12 almost nothing to control these two mosquito species
13 which tend to hang around in people's yards and
14 sometimes even inside their houses. So we're very
15 excited to have something like this.

16 But they're both active during the daytime
17 and this is -- they also feed at night but they're
18 particularly active and biting during the daytime.
19 And this has been really kind of a public
20 information nightmare for organizations such as ours
21 and NPMA trying to get people to understand that
22 they're being now bitten during the day and it's not

1 just when they're sitting out in the evening being
2 bitten by mosquitos and they need to protect
3 themselves during the daytime. And that's a point
4 that we still need help on, anytime you're talking
5 to people about these mosquitos.

6 Secondly, the maps that he showed, those
7 have caused a lot of consternation for mosquito
8 control people. They were first rolled out at the
9 White House Zika Summit almost two years ago now,
10 which was held in Atlanta, Georgia. I was really
11 excited when I saw White House Zika Summit on the
12 invitation but it was at CDC.

13 Those are not distribution maps for those
14 two species. And it got into the media that, oh, my
15 gosh, all these Zika vectors are occurring in
16 Connecticut and New Hampshire and places where we've
17 never had them. So be very careful when you see
18 those maps. They are not distribution maps. They
19 are estimated potential ranges based on the optimum
20 conditions for those two species.

21 The distribution of *Aedes aegypti* in this
22 country is actually pretty much restricted to the

1 Southeast and the Gulf Coast, although there's one
2 population that reoccurs every year in a place
3 called Washington, DC, and nobody has ever been able
4 to find it, of the yellow fever mosquito. They
5 don't know exactly where it's coming from. So be
6 careful when you look at maps. Be sure you know
7 what they're trying to say.

8 And just thirdly, let's don't let our guard
9 down. These two methods and a couple others that
10 are coming along are fairly slow acting. They're
11 just another tool in our mosquito control toolbox.
12 They in no way are a substitute for the pesticides
13 that we need to be able to apply by ground and
14 aerially when we're in the middle of a mosquito-
15 borne disease outbreak, because we're going to
16 continue to have them. So we need to keep those
17 other tools in our toolbox as well. And that's all
18 I have to say about all that.

19 MR. KEIGWIN: Jim, then Nichelle, then Nina.

20 MR. FREDERICKS: Thanks, I want to thank you
21 for your presentation. We really appreciate all the
22 hard work that's getting done.

1 Actually a comment and a question. One is
2 actually, I didn't realize, we didn't plan it but I
3 am going to echo some of Stan's comments about, you
4 know, this is a great additional -- with regard to
5 these mosquitos, it's a great additional tool to be
6 added to the integrated pest management toolbox.
7 And when we saw the pyramid up on the screen that
8 Bob showed us, you know, you take into consideration
9 as many different tools as you can and then use
10 those tools in the best possible fashion. But it
11 shouldn't be lost that we still are in need of the
12 pesticide tools that we use. So that's the comment
13 I really wanted to echo, that we can't lose sight of
14 that we have these innovations, but those
15 innovations are not enough. We need every tool
16 possible.

17 And third, the question was with regard to
18 Yu-Ting's presentation. We appreciate actually the
19 opportunity to continue to work on things like
20 structural fumigants and we hope that we can be
21 helpful as a resource there. But my question is
22 with regard to the Neonics, a million comments. How

1 does, how does OPP deal with a million comments?

2 I mean if you spend five minutes each, and
3 I'm no mathematician, but if you spend five minutes
4 on each comment, you know, you're talking about
5 83,000 staff hours, 40 years of work. How does that
6 even work? I imagine some are duplicates but it's
7 still a lot of comments.

8 MS. GUILARAN: Right. So obviously some are
9 substantive comments. So the first, number one is
10 to, for us to receive all the comments I don't think
11 it's quite done yet so. And then first is to figure
12 out the, sort of the mass letter writing campaign
13 versus substantive things that we can consider and
14 use to reconsider what we had done in the risk
15 assessment and also the benefit, for example. So
16 that will probably take the bulk of the time.

17 The other tool that we're trying to put in
18 place is actually some kind of contractual support
19 to help, so to free up our staff to respond to
20 substantive comments and then for contractors to
21 help us kind of sort them and thin them so that we
22 can more easily identify the ones that we need to

1 address earlier. I mean Rick was the previous PRD
2 director and had the staff pretty well set up for
3 responding to a mass amount of comments. So I think
4 we'll basically still shoot for the target for the
5 Neonics for some time later this year to try to
6 propose any necessary mitigation.

7 Yes, I agree. Thank you. Yes, 100 percent
8 agree.

9 MR. KEIGWIN: Nichelle, then Nina, then
10 Charlotte.

11 MS. HARRIOTT: So thank you for your really
12 informative presentation. My first question/comment
13 is for the mosquito staff, Mike. In your
14 presentation you mentioned that there is some
15 efficacy testing and claims that the mosquito
16 product, I guess the registrant has. Do you have
17 that efficacy data? Do you know how efficacious
18 these Wolbachia mosquitos are or could be?

19 MR. MENDELSON: Yeah, the current claims
20 are for suppression and we have, the label claims
21 are backed up by data that's been submitted. And
22 that's why the original registration was limited to

1 the states that it was because those were the states
2 that were supported by data that we had in hand.

3 MR. HARRIOTT: So do you, can you share some
4 of that data with us in terms of the numbers of
5 efficacy that we're working with?

6 MR. MENDELSON: Not right now, but we can
7 get that information for you.

8 MR. HARRIOTT: Okay, I'm just, I'm just
9 really curious because I, I am cautiously optimistic
10 about this new tool so I am just curious about
11 efficacy.

12 My other question and maybe this is more a
13 question for Stan actually. I'm just curious how
14 would, if I was a mosquito control district and I'm
15 interested in using this Wolbachia mosquitos, how
16 would the timing work with actual spraying? Because
17 it would be a shame to release them and then spray,
18 release them in the morning and spray in the
19 afternoon, so how would that work.

20 MR. COPE: Do I have to put this up first?
21 I want to do the right thing.

22 Actually what you brought up is a little bit

1 of a misunderstanding. There are lots -- of the
2 950-some mosquito abatement districts that we have
3 in this country, many of them, the majority of them
4 do not spray. They do source reduction and larval
5 surveillance and they only spray if there's an
6 indication of disease in the mosquitos. So the idea
7 that they go out three nights a week or four nights
8 a week in every district and spray doesn't happen.

9 Also with the sophistication of how they do
10 the sprays using GIS and everything like that
11 nowadays and other tools, one of the larger
12 districts could easily be releasing these
13 genetically modified organisms in one part of their
14 district where they might be spraying in another
15 part of it. So it would go hand in hand. They
16 certainly wouldn't want to -- this is not cheap. I
17 mean you can tell from how it's done, it's pretty
18 expensive. So they'd really be shooting themselves
19 in the foot were they to release all these mosquitos
20 and then drive the truck that night and kill them
21 all. But as I said, most of them are not going to
22 be out during the evening anyway, so the sprays

1 wouldn't harm them too much.

2 And also if you don't know, the flight range
3 of these mosquitos is very limited to maybe the
4 length of a football field or a little more from
5 where they breed in the water, so they're not going
6 to be really great distances. Thank you for that,
7 Mr. NPMA.

8 MS. HARRIOTT: Thank you. My second set of
9 questions for Yu-Ting. So you have here like your
10 high profile risk assessments, and thank you for all
11 the work that you guys have done in that, I really
12 appreciate it and I look forward to EPA finalizing
13 these decisions. And I do not envy you going
14 through one million comments but I guess there is a
15 lot of public interest in these things.

16 So my first is about, so you have your
17 neonics, glyphosate, pyrethroids and the fumigants
18 but you didn't mention anything about chlorpyrifos.
19 And the last time we were here, EPA said to us that
20 they need more data or more understanding about how
21 chlorpyrifos impacts children's brains. So I'm just
22 wondering where the agency is on that? Are there

1 going to be data call-ins? Like what more does the
2 agency need? How can we help provide you with
3 information so that you can quickly come to a
4 resolution on chlorpyrifos?

5 My second question is about mosquito spray
6 again. There are several pesticides or classes of
7 pesticides that are registered for mosquito spray
8 and I know you have the pyrethroids that I'm
9 expecting a decision on, a decision on maybe in the
10 New Year. But I'm thinking of some of the OP's that
11 are still registered for mosquito spraying and
12 particularly Naled (phonetic), which was in the news
13 a couple years ago, and since mosquito season is
14 almost upon us, I'm just wondering what is the
15 registration review status of some of the other
16 mosquito spray pesticides?

17 MR. KEIGWIN: Nichelle, thanks. I'm going
18 to start with the chlorpyrifos question, and Yu-Ting
19 can respond to the mosquito products question.

20 So we have been in a dialogue with Columbia
21 University to get some additional information that
22 underlies the analyses that they've done in the

1 epidemiological area. There have been, and I think
2 we've got a number of these exchanges posted on our
3 website currently and we've recently reengaged with
4 Columbia to try to obtain some additional
5 information that would help to inform moving forward
6 with our analyses.

7 So let me turn to Yu-Ting about the mosquito
8 part.

9 MS. GUILARAN: So for the Naled DDVP, we're
10 still working on the risk assessment and we're
11 working on some additional studies that will have to
12 be incorporated into the draft risk assessment and
13 right now, I think we're expecting the studies to be
14 completed by the end of this year and hopefully we
15 will have a draft risk assessment out shortly after
16 that.

17 MR. KEIGWIN: Okay. Nina, and then
18 Charlotte.

19 MS. WILSON: Thanks for that information,
20 Bob and Mike. You said tolerance exemptions,
21 biostimulants, IPM and PRIA, and those are all words
22 that I feel like I say everyday 100 times a day.

1 But as you know, we're very interested in tolerance
2 exemptions and making sure that the tolerance
3 exemption requirements and how to get there are
4 commensurate with the risk. And that is a very,
5 sometimes a confusing process because I think people
6 don't realize that it's something like 6 to 8
7 percent acetic acid which is vinegar, if we call it
8 a pesticide has to go through all the requirements
9 and we have to demonstrate to you. And we try to do
10 that in such a way that it doesn't require a lot of
11 animal testing and use the weight of evidence as
12 much as possible.

13 But, and as for biostimulants as well. It
14 somewhere lays in between an IGR, insect growth
15 regulator which is a FIFRA product or a fertilizer
16 which is more state-regulated and so trying to find
17 a home and definition of that was very important to
18 us as well.

19 And these products all work in integrated
20 test management which your group also looks at, not
21 just for schools which you have looked at but also
22 we work in -- with conventional products. We work

1 with genetically modified and the whole idea is to
2 get a total reduced risk program. And I know
3 anybody and all these different sectors that we have
4 are interested generally in that kind of reduced
5 risk IPM, resistant management programs.

6 And as far as PRIA, I think just a reminder
7 to everybody that if you -- that not having PRIA and
8 not giving you the tools, the resources to be able
9 to review all these products in the same diligent
10 way that we tend to think of some of the other
11 products, does keep these lower-risk pesticides from
12 being reviewed and registered in a timely manner as
13 well. So I appreciate your comments and your
14 support and all the work that you guys do there.

15 MR. KEIGWIN: Okay, thanks, Nina. Charlotte
16 and then Dan.

17 MS. SANSON: All right, thanks. I have a
18 request for Yu-Ting. Yu-Ting, as you were talking
19 about the comments, I think, I think it might have
20 been relative to Glyphosate, I just wanted to
21 clarify that I heard correctly. You mentioned about
22 7,000 comments have come in and then you mentioned

1 an email box. So I was just curious as to what the
2 difference is between comments that you're receiving
3 via email versus -- as opposed to the docket. Are
4 you talking about the same thing or are they
5 different processes?

6 MS. GUILARAN: So for some of these
7 chemicals where we know the case will receive a lot
8 of inquiries, so we have set up both emails to
9 receive those inquiries and also a phone line. So
10 there are some comments that were submitted through
11 the email system, so that's part of what we need to
12 do is go through the emails as well, and then the
13 ones that are actually comments and to incorporate
14 that with the comments that we receive through the
15 docket.

16 MS. SANSON: Okay. So the comments that are
17 uploaded to the docket I think are visible to the
18 public. What about the comments you're receiving in
19 the mail --

20 MS. GUILARAN: We'll be adding them to the
21 visibility of the docket. So first we need to go
22 through all of them, extract all the comments that

1 are relevant, load it onto the docket.

2 MS. SANSON: Okay, yeah. And the million
3 that you've received have also come through --

4 MS. GUILARAN: The million, we did not have
5 a specialized email for the Neonics, so I guess
6 that's why there were a million.

7 MR. KEIGWIN: Okay, Dan and then Eric.

8 MR. KUNKEL: Thanks, Rick, and I think my
9 comment and it's not really a question, is for Bob
10 McNally. And one of the outcomes, we had a global
11 minor use summit last October. One of the outcome
12 action items was to develop a list of products that
13 are exempt or very low toxicity so they can be
14 recognized. So we're working on this through Codex
15 and OECD, but I wanted to make you aware of that.
16 But again, we're just trying to create an
17 international list that's internationally recognized
18 so if we could draw from some of your experiences
19 that you had in your workshop last year and so on,
20 we would appreciate that. Thank you.

21 MR. KEIGWIN: Okay. Eric.

22 MR. GJEVRE: I saw, early I saw a bullet

1 point for CRISPR. Can we get a CRISPR update or can
2 you put it on? I'm just curious, does EPA ride herd
3 on that regulatorily?

4 MR. McNALLY: So the question is about
5 CRISPR. So as I mentioned earlier, we can do, maybe
6 at the next PPDC, just an overview briefing of what
7 the technology is and specifically how it might
8 apply to the pesticide realm because we have not
9 received any applications for any CRISPR products
10 but we do know the technology is out there and at
11 some point it might be a possibility.

12 One of the things we did as part of the
13 coordinated framework update and the national
14 strategy sort of for ag-biotech is we kind of
15 highlighted some approaches that the government is
16 looking at on things like gene editing, and so
17 that's certainly something we want to establish some
18 policy on in the next year or so, and we're working
19 with our colleagues at FDA and USDA to have
20 hopefully a concerted approach across the
21 government, maybe not entirely consistent, given the
22 different statutory mandates but at least the left

1 and the right hand know what each is doing.

2 MR. KEIGWIN: Stan, did you --

3 MR. COPE: I can tell by looking at
4 everybody's faces that you're all wondering how you
5 can learn more about these invasive mosquitos, and
6 there's some really good news on that. If you are
7 interested or you need to learn or any of your staff
8 want to learn more about these, about a year and a
9 half ago the CDC came to AMCA and awarded us a
10 sizable contract to develop best management
11 practices for these species. So if you go to -- we
12 have a very cleaver website address, it's WWW dot
13 mosquito dot org, and the very top button says CDC
14 Training and Certification.

15 The best management practices manual is
16 there. It's about 78 or 80 pages, and it covers
17 all, all aspects that you would need to know about
18 biology, surveillance and control for these things.
19 And then there are four E-modules that you can sit
20 down and take at your own pace. They're not -- it's
21 not easy. You have to get 85 percent to pass.
22 That's 15 percent above what we were required in the

1 military to pass, by the way, so that tells you how
2 important mosquito control really is.

3 You don't have to be a member of AMCA to
4 take them. They're a great place for people to
5 start that might be get thrown into a job or a
6 responsibility where they know nothing about these
7 things. And at the end you get a nice little
8 certificate that says that you have been trained on
9 the CDC/AMCA best management practices, which is a
10 pretty good thing to have in your dossier.

11 So it's available, everything is available
12 now in English and Spanish as of last week and we're
13 very proud of that. So take advantage of it but
14 study hard for the test.

15 MR. KEIGWIN: Damon.

16 MR. REABE: This is a comment with regards
17 to the biopesticides. I would like to encourage the
18 EPA to -- and maybe this is already being done, but
19 we're starting to see more use of biopesticides in
20 our business and one thing I'm noticing that's
21 lacking is real clear instructions. I'll use an
22 example. There's a particular biopesticide that we

1 handle that requires refrigeration. So there is
2 the, the company that formulates the product is well
3 aware of it. The sales staff might be well aware of
4 it. It gets distributed, it gets watered down. It
5 gets to dealerships, that information gets watered
6 down. And when it finally gets to the applicator,
7 they may not know that. And so, you know, clear
8 packaging, labeling that would, you know, provide
9 that type of direction.

10 Also for aerial applicators, from what I can
11 tell, it's quite obvious to me that because these
12 products are so specific at how they control a pest,
13 the timing of application is extremely critical. So
14 aerial application will play a very significant role
15 on that. So clear instructions for us, droplet size
16 is important for us to know what works best. How
17 long these products can be in the diluted form in
18 our hoppers. As time goes on and these products
19 become more widely used, pesticide dealers go into
20 bulk mixing. Certain products that are conventional
21 products when they're at a particular pH may have
22 really short half-lives. Some of these

1 biopesticides may no longer be viable after so many
2 hours, and this is all information that we, that we
3 need in order to use them properly and have them
4 work.

5 MR. KEIGWIN: Lori Ann.

6 MS. BURD: Thanks. I have a few questions.
7 First I know it's the practice to do final final
8 interim risk decisions. Do the decisions ever
9 become final final and not final interim? And can
10 you explain why that is the practice? And then I'll
11 ask my two other questions after.

12 MS. GUILARAN: I know. So yes, that's my
13 goal to have final decisions. So part of the reason
14 I have the interim is we are, I think Marietta is
15 going to cover it tomorrow, the ESA piece of it. So
16 that piece we're still working with Fish and
17 Wildlife and also USDA and NMFS on trying to figure
18 out the ESA piece of it. So the biological
19 evaluation for EPA, the biological opinion for the
20 services, so that's a part that is not -- when we
21 have that figured out, that's one of the pieces that
22 we need to have for the final decision. So that's

1 why it's interim right now. Does that answer your
2 question?

3 MS. BURD: Yeah, great. Thank you.

4 My next question is can you give us an
5 update on Malathion re-registration?

6 MS. GUILARAN: So for Malathion, the draft
7 risk assessment was already released and is
8 currently going through -- the second part of it is
9 the ESA. So I think, are you going to cover some of
10 the -- or are you asking about the ESA piece of it
11 or just --

12 MS. BURD: No, I just wanted to know what
13 was happening.

14 MS. GUILARAN: Yes, the risk assessment has
15 been released and also the comment period closed,
16 yeah, but that's part.

17 MS. BURD: So that's what we're waiting for.
18 You don't anticipate doing the final interim on
19 Malathion, you'll hopefully have a final final?

20 MS. GUILARAN: It depends on how the timing
21 all works out. Sometimes it depends on if we can
22 effectuate some of the risk mitigation earlier on,

1 we'll do a piece of that and have that implemented
2 first. It really depends on the timing of
3 everything, how it's going to work out.

4 MS. BURD: Okay, great, thanks.

5 And my final question is on Neonics. As we
6 all know, the EU finalized its ban on outdoor use of
7 three Neonics on Friday.

8 MS. GUILARAN: Right.

9 MS. BURD: And I'm wondering how you all
10 will be incorporating the information they utilized
11 in your decision-making processes and also the
12 information coming out of Canada as well.

13 MS. GUILARAN: Right. So as I said before,
14 with all the comments that we have received,
15 obviously part of our consideration for EPA is
16 different from EU. So we need to first of all take
17 a look at the comments that we have received on a
18 risk assessment and then along with the benefit
19 assessment that we have put all together. So FIFRA
20 requires us to balance both pieces and then
21 basically make a determination after we have
22 sufficient time to look into that and to see whether

1 or not we need to revise any of our risk assessment
2 as well, so.

3 MS. BURD: So you will be looking at the
4 information that they looked at?

5 MS. GUILARAN: Yeah, I don't -- I don't know
6 specifically what information.

7 MS. BURD: The EFSA report.

8 MS. GUILARAN: Yeah, we have looked at that.

9 MS. BURD: Okay, great.

10 MS. GUILARAN: Yes.

11 MR. KEIGWIN: Let me check with Sharon and
12 Pat to see if they have any questions.

13 MS. SELVAGGIO: This is Sharon. Can you
14 hear me?

15 MR. KEIGWIN: Yes. Go ahead, Sharon.

16 MS. SELVAGGIO: Okay. So I'm sorry, I was
17 taking some notes and I'm trying to find my
18 question, okay.

19 So my question was to Bob McNally about the
20 biopesticides. Recently at the IPM symposium that
21 happens every couple of years, the one that just
22 happened in Baltimore this spring, there was a

1 discussion on nano technology by Jason White, the
2 state chemist for Connecticut, and the takeaway from
3 his presentation was basically that traditional risk
4 assessment methods are inadequate for nano
5 pesticides because nano pesticides interact in
6 unique ways with biochemical, genetic and cellular
7 processes. And according to him, there's no nano
8 specific safety assessments that are required right
9 now by either the EPA or the Food and Drug
10 Administration, although the EU is a little bit
11 further along.

12 So in thinking about Bob's presentation and
13 also this morning's discussion about EPA's efforts
14 to streamline testing and risk assessment methods,
15 I'm curious about what discussions, guidance and
16 policies are underway to achieve the mission of
17 safety for OPP that Bob pointed out at the very
18 beginning of his presentation and basically to
19 ensure adequate assessment of human and ecological
20 risks for both biopesticides and nano pesticides.

21 I am also just kind of curious, given the
22 sort of division of responsibility that Bob talked

1 about with conventional and how you guys are
2 classifying different kinds of pesticides, where do
3 nano pesticides fit into that structure?

4 MR. McNALLY: Yeah, this is Bob. Thank you
5 for the comment. I guess what I would like to do is
6 get -- we had people at that IPM conference in
7 Baltimore and they were basically our IPM folks, as
8 the name would suggest. If you can give us more
9 information about the presentation, I think the
10 first thing would be to take a look at it and see
11 how it relates to our program, either in the
12 biopesticide program, the conventional world, the
13 antimicrobial world.

14 I think the first thing we look at is the
15 delineation between a biochemical, you know, the
16 three criteria I listed, to see whether it fits in
17 our bin or somebody else's bin. I think we would
18 probably need to know more about the specific
19 delineation that the presenter in Baltimore made
20 about nano pesticides. So I think that's the key
21 criteria for us that I listed, and I think maybe the
22 best bet is for us to look at that paper and then

1 see what impact, if any, that has on the program in
2 my group, in Yu-Ting's group or in the antimicrobial
3 group.

4 Can you tell me again the name of the
5 presenter?

6 MS. SELVAGGIO: Yes, Jason White. He's the
7 state chemist for the state of Connecticut.

8 MR. McNALLY: All right, thank you.

9 MS. SELVAGGIO: You're welcome.

10 MR. KEIGWIN: Any other questions for Bob,
11 Mike or Yu-Ting? Amy.

12 MS. LIEBMAN: I have a question on this
13 overall session, so is it okay to ask that now? I'm
14 just kind of curious, like particularly given sort
15 of how the agenda went today and the time that's on
16 a regulatory update session within the PPDC, why
17 some major regulatory updates were not included on
18 the agenda when they were requested by many
19 participants. So I'm specifically asking like it
20 just seems like when you're about to start gutting
21 the WPS, and when we have the judge, federal judge
22 saying that the certified pesticide applicator rule

1 is actually now in effect, why you wouldn't sort of
2 bring us up-to-date on that in this setting.

3 MR. KEIGWIN: So we are now in the
4 rule-making process and that's really the next step
5 in the process. Our websites are up-to-date on the
6 status of those two regulations and so we felt that
7 the information was out there. We -- there was an
8 opportunity to ask questions earlier in the session.
9 Those questions were asked. I think the agency
10 answered them.

11 I know there were a couple questions, Amy,
12 that you asked earlier this morning that we're in
13 the process of getting answers for and we hope to
14 have the answers to those tomorrow. And very much
15 consistent with past PPDC meetings, we have tended
16 to provide regulatory updates on other aspects of
17 the program, be it registration review and the
18 biopesticide program, and so this part of the agenda
19 is consistent with that.

20 MS. LIEBMAN: Okay, I guess I just see some
21 large gaps in the overall agenda. It was brought up
22 but it wasn't really on the agenda today. So I

1 think in the future I think it's important when,
2 when it's current, when it's a current event, even
3 if it's on your web -- everything else is on your
4 website, too. So I'd appreciate it being addressed.

5 MR. KEIGWIN: Other questions? Okay.

6 No one here in the room signed up for public
7 comments. I just want to check quickly to see if
8 anyone participating on the phone would like to make
9 public comments.

10 Okay. Well, then, I want to thank everyone
11 for their participation today. We will give you
12 back the gift of an hour of your time.

13 Thank you all for today's discussion. We
14 will begin tomorrow at 9:00 a.m. Have a good
15 evening.

16 (The meeting was adjourned.)

17

18

19

20

21

22

1 CERTIFICATE OF TRANSCRIPTIONIST

2

3

4

I, Roberta R. Katz, do hereby certify that

5

the foregoing proceedings were transcribed by me via

6

digital audio file and reduced to typewriting under

7

my supervision; that I am neither counsel for,

8

related to, nor employed by any of the parties to

9

the action in which these proceedings were

10

transcribed; and further, that I am not a relative

11

or employee of any attorney or counsel employed by

12

the parties hereto, nor financially or otherwise

13

interested in the outcome of the action.

14

15

16

17

18

ROBERTA R. KATZ, RPR, CSR

19

20

21

22