

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

U.S. ENVIRONMENTAL PROTECTION AGENCY

PESTICIDE PROGRAM DIALOGUE COMMITTEE MEETING

October 28, 2020

11:00 a.m., Eastern Standard Time

Day One

1 APPEARANCES:
2 Walter Alarcon
Ruben Arroyo
3 Amy Asmus
Manojit Basu
4 Steven Bennett
Carol Ramsey Black
5 Taja Blackburn
Jasmine Brown
6 Lori Ann Burd
Douglas Burkett
7 Bill Chism
Alexandra Dapolito Dunn
8 Iris Figueroa
Jim Fredericks
9 Joseph Grzywacz
Gary Halvorson
10 Gina Hilton
Komal Jain
11 Shannon Jewell
Mark Johnson
12 Patrick Johnson
Sheryl Kunickis
13 Daniel Kunkel
Dominic LaJoie
14 Charlotte Liang
Amy Liebman
15 Aaron Lloyd
Lauren Lurkins
16 Tim Lust
Daniel Markowski
17 Gary Prescher
Caleb Ragland
18 Damon Reabe
Karen Reardon
19 Alan Reynolds
Charlotte Sanson
20 Steve Schaible
Carolyn Schroeder
21 David Shaw
Christina Stucker-Gassi
22 Carla Theriault
Mily Trevino-Sauceda
23 Cathy Tortorici
Liza Fleeson Trossbach
24 Tim Tucker
Edward Wakem
25 Nina Wilson

P R O C E E D I N G S

- - - - -

1
2
3 MR. MESSINA: We are still waiting for Alex to
4 log in. I think what I'll do is get us a little bit
5 started and kind of talk about some things I was going
6 to talk about and as soon as Alex joins I'll just stop
7 talking.

8 Oh, Alex, is that you?

9 (No response.)

10 MR. MESSINA: Okay, so in addition, I mentioned
11 that Rick had moved up as the deputy assistant
12 administrator for management in the Office of Chemical
13 Safety. Mike Goodis, who was the director of the
14 Registration Division, he's currently serving in my role
15 as the deputy office director for Programs. So we had
16 some moves there.

17 We also, as a result of Rick moving up, myself
18 moving up and Mike moving up, Marietta Echeverria, who
19 was the director of the Environmental Fate and Effects
20 Division, is now serving as the acting director for the
21 Registration Division, filling in for Mike's role.

22 I'm now getting a text from Alex. Alex, you're
23 on now. Can you start talking?

24 MS. DUNN: Yeah. Can you hear me?

25 MR. MESSINA: We can, great. I was kind of just

1 doing a little housekeeping on roles, but we are ready
2 to hear your opening. Thank you for joining.

3 MS. DUNN: Oh, absolutely. Well, I don't want
4 to interrupt what you were doing, Ed, but if you're
5 done, let me just say hello, everyone, and it's a
6 pleasure to be with you all. I will be connecting
7 visually in just a moment. I have just landed coming
8 back from traveling with the administrator on the
9 dicamba announcement yesterday. We were in Savannah,
10 Georgia, and I just landed here at Dulles. So pretty
11 soon I'll see you all virtually, but between now and
12 then, I'm afraid you're going to have to just hear my
13 voice.

14 Again, thank you, Ed, for the introduction, and
15 hello to all members of the PPDC. I hope you know how
16 much we appreciate you and how much we appreciate your
17 time for being with us. Your service on the PPDC is
18 absolutely critical to all of us here. You are very
19 flexible to participate in this meeting today virtually
20 and we do thank you for that.

21 I also want to thank our colleagues, Shannon
22 Jewell, Carla Theriault, and our OPP staff for their
23 wonderful work to hold this meeting. I hope you all
24 know how much I believe in engagement with all of you
25 and using these opportunities to meaningfully connect

1 and share and have information between each other. And
2 I'm sorry for the background noise. I hope that they
3 don't make too many announcements while I'm trying to
4 talk to you.

5 The PPDC is in its 25th year, and it has been an
6 extremely important committee to us. It is such an
7 effective tool and group for us to gather feedback, diverse
8 insights and perspectives on pesticide policies.

9 We all worked very hard on putting together what
10 we hope is a meaningful and good agenda for you. We
11 believe that the next two days that you meet are going
12 to be so important to us. We want your feedback on many
13 things, such as our recent activities and
14 accomplishments which we are looking forward to sharing
15 with you. Also, our activities in response to COVID-19,
16 the public health emergency.

17 I'm also really pleased to hear that you are
18 interested in forming workgroups, and over the last
19 meeting you did some surveying of yourselves, and four
20 workgroups rose to the top, and those are on today's
21 agenda with some foundational charges. And as you have
22 explorations around these topics, we hope that it will
23 come to light that these are the right choices for you,
24 and if not, we certainly have the flexibility to
25 identify additional workgroups.

1 The main goal is for this experience on PPDC to
2 be beneficial both to you all as participants, and to us
3 as the agency, resulting in a stronger, more effective,
4 beneficial program.

5 We are very much hoping that the remarks that I
6 can provide you today will give you just a brief update
7 of some of our pesticide priorities and the work that
8 we're accomplishing across these areas. And I'll keep
9 my remarks short, and a lot of them will tee up what Ed
10 is going to talk to, and hopefully between the two of
11 us, you will feel like you have a pretty good sense of
12 what we're up to.

13 So first, I just want to tell you that we are
14 really honored to be gathering during EPA's 50th
15 anniversary. Over the last 50 years, the agency has
16 truly worked to fulfill our mission of protecting human
17 health and the environment by cleaning up the air, the
18 water and the land, and by ultimately providing a
19 cleaner, healthier environment for the American people.

20 We know that we do this not just ourselves, but
21 with partnerships with the private sector, with the agricultural
22 community, with NGOs, with citizens, with states,
23 cities. I can't tell you that how much we get done
24 because all of you help us be stronger and better.

25 We have several guiding principles that I have

1 tried to keep in the forefront of my mind and as I work
2 with my colleagues, I have refined them and shared them,
3 but all of the work we do is grounded in key goals, four
4 key goals. And I hope they're not surprising to you.
5 Protecting public health in the environment, improving
6 our engagement with stakeholders, increasing
7 transparency and certainty in the work that we do, and
8 reducing unnecessary burdens through the work that we
9 do, that is making our programs efficient and effective.
10 And easy to understand.

11 So let me just talk briefly on the mission of
12 EPA protecting the public health and environment.
13 Everything that this office does every day is focused on
14 this goal. And over the last fiscal year, and at EPA,
15 of course, we think in fiscal years, we have made
16 several impressive accomplishments carrying out our
17 mandate to register pesticides, re-evaluate existing
18 pesticides, and taking regulatory action as needed to
19 continue to effectively provide safe pesticides into the
20 marketplace. Safe for humans, safe for the environment,
21 safe for workers.

22 So, as you know, an important part of our work
23 is to register new active ingredients, and in FY20
24 alone, we registered 16 new active ingredients. Of
25 these 16 new active ingredients, we registered one

1 alphachloralose that we are talking about, a novel
2 rodenticide used to control mice inside homes and
3 buildings, and it is the first rodenticide in over 20
4 years with a new mode of action. This rodenticide
5 induces hypothermia in the rodents, and is much less
6 toxic to humans and to other animals who might come into
7 contact with the rodent that has been affected by
8 alphachloralose.

9 We also have been really active in the microbial
10 space. Very exciting there. We have registered a new
11 active ingredient, the clonostachys rosea strain, CR-7,
12 and this product gives a whole new meaning to the
13 interface between nature and agriculture. In this case,
14 the product is an herbicide that is delivered, believe
15 it or not, by honeybees or bumblebees as they leave
16 their hives to go out and pollinate. They walk across a
17 path, pick up a little bit of this herbicide, and then
18 leave it behind on the plants where it does its work and
19 it is of no harm to the insect.

20 Another example of a biopesticide active
21 ingredient we have registered is nootkatone.
22 Nootkatone, I hope you heard about, because it has the
23 smell and taste of grapefruit. It got a lot of
24 attention because we worked with the Centers for Disease
25 Control and Prevention on this product, and it repels

1 and kills ticks, mosquitoes and a wide variety of other
2 biting pests.

3 I also want to highlight that last week we
4 announced the proposed ban or cancellation of certain
5 uses of antifoulants in paint called Irgarol. We have
6 found that Irgarol is toxic to coral reefs and is a
7 cause of coral reef bleaching. There are less
8 environmentally persistent alternatives to using Irgarol
9 in the boating industry, and we are very pleased to be
10 proposing to cancel these uses. There are some uses
11 that still remain. We are looking for opportunities
12 across all of our programs to consider our impacts on
13 the environment.

14 As I mentioned, I am sitting in the airport,
15 having just returned from rural Georgia, standing in
16 some cotton fields, which were in full bloom and ready
17 for harvest. It looked like snow out there.

18 We, yesterday, announced, after a thorough and
19 thoughtful process, to register two dicamba products for
20 five years and extend the registration of a third
21 product. We reviewed substantial amounts of new
22 information. We actually had a call yesterday with the
23 administrator and just of the individuals who worked
24 primarily on this reregistration, or new registration,
25 there were over 50 scientists, 50 members of our career

1 staff, who had invested their time and expertise in
2 analyzing data studies and coming up with what we
3 believe is an extremely protected registration that will
4 allow dicamba to be used on dicamba-tolerant cotton and
5 soybeans, but also addressed the significant issues
6 associated with volatility.

7 We have put a number of requirements in place
8 that you may hear about later or can read about in our
9 press from yesterday, and are all on our website that
10 will address the issue of this product staying on
11 target, which is most important. And that is our goal,
12 frankly, with all pesticides, we want them to do their
13 job, stay in the place where they are applied and do
14 their job, and not leave that place due to volatility or
15 drift. And we spent a lot of time working on the
16 dicamba registration in that regard.

17 Another point I'd like to make is the second
18 principle, which is improving engagement with
19 stakeholders. You know, I certainly worked in the
20 private sector outside of the agency for 23 years and I
21 know what it's like to try to get the attention of EPA
22 and to try to make your expertise and points heard by
23 the agency. And so I was very pleased to bring that
24 experience into the agency, and I use it to help me when
25 we're talking with outside groups to remember what it

1 was like to be outside the doors and trying to engage
2 with EPA and make sure that we're responsive.

3 So certainly the PPDC is a perfect example of
4 how we like to engage with others, and I'm sure you all
5 are familiar with our FIFRA Science Advisory Panel. And
6 it looks like I have just gotten into the Adobe Connect,
7 so I'm going to turn off the speakers and hopefully have
8 a good connection here. Just give me a moment.

9 Can you all hear me okay?

10 MR. MESSINA: The phone was a little better,
11 Alex. Can you try it again? Yeah, actually I'm not
12 hearing anything. I heard you for a second and now I'm
13 not hearing you. So you just might want to dial back in
14 through the phone. Can't hear you.

15 MS. DUNN: Can't hear me?

16 MR. MESSINA: Oh, wait, now I can hear you.

17 MS. DUNN: Okay, I'm back. Can you see me and
18 hear me?

19 MR. MESSINA: We can. Thank you.

20 MS. DUNN: All right. My goodness. Well, hi,
21 everyone. I really did want to engage with you in
22 person and you can see by the backdrop here, I am
23 definitely sitting in the airport. So sorry about that.

24 Okay. So let me just sort of get back to the
25 points that I was talking about, which is engaging with

1 the agency and how important it is to use all of our
2 different stakeholder groups, including this one, the
3 PPDC, including our FIFRA SAP, which has had a number of
4 very important meetings, including the one in September
5 2020, where the FIFRA SAP is working on using new
6 approach methods, or NAMs, to reduce animal testing, and
7 also to derive extrapolation factors and evaluate
8 neurotoxicity for human health risk assessments.

9 Also, the SAP has looked at surface water
10 monitoring data in pesticide drinking water assessments,
11 that was in November of 2019. When Administrator
12 Wheeler spoke at the Nixon Library on September 3rd for
13 EPA's 50th anniversary, he stated that he has a vision
14 for the second term, and that is a look at how we talk
15 about our pesticide work and all of the science that
16 goes into it.

17 We're calling it a bit of a 21st Century
18 pesticide initiative, but what is most important about
19 this effort is to try to communicate as thoroughly as
20 possible about the decision making that goes into any
21 pesticide approval, the science that we look at, the
22 studies that we do, the wholistic approach we take, the
23 Endangered Species Act assessments that we do, and how
24 these decisions are backed by the best, most credible
25 science. This is very, very important, and the

1 administrator believes very strongly in our program and
2 wants to put more attention onto the work that we do
3 going forward.

4 He also has been a champion of our reduction in
5 animal testing initiative, and you'll hear later today
6 how much we have done in that regard. The Pesticide
7 Program has a greater opportunity to be a source of
8 reductions in animal testing.

9 Let me also tell you that we're very proud of
10 our pollinator work. As you know, this past year, we've
11 held a series of webinars. We also, for the first time
12 ever, declared there to be National Pollinator Week in
13 June 2020, the first time that an EPA administrator, in
14 this case Administrator Wheeler, has ever declared a
15 pollinator week. We did that with other federal
16 agencies, USDA, and Department of Interior.

17 We also just in September cohosted a State of
18 the Science Workshop with USDA on pollinators. So we
19 are looking forward to the report of that workshop and
20 to continuing a commitment to all of our work to, again,
21 protect our nation's pollinators from off-target impacts
22 of pesticides.

23 Also important to our work are the stakeholders
24 and in the form of our Tribal Pesticide Program Council,
25 the TPPC, work with our tribes, our first nations, is so

1 important to us and we learn so much from them, and they
2 have some unique conditions associated with pesticide
3 exposures due to tribal culture and traditional
4 practices.

5 So we work very, very closely with our Tribal
6 Pesticide Program Council, and only a few weeks ago, we
7 awarded a five-year cooperative agreement in the amount
8 of \$975,000 to ITEP, the Institute of Tribal
9 Environmental Professionals, at Northern Arizona
10 University. And they will be, for the next five years,
11 through 2025, helping us support and run the initiatives
12 of our tribal members on the TPPC.

13 So don't worry, I'm getting ready to wrap up,
14 and I also will answer some questions. We talk about
15 increasing transparency and certainty in what we do, I
16 hope you've seen that in the form of a number of
17 initiatives. We've released this year the new
18 Endangered Species Act revised methods, which we
19 developed with four other federal agencies. You got to
20 see those methods at work in the carbaryl and methomyl
21 draft biological evaluations which were released for
22 comment through July 2nd, and we are reviewing those
23 comments now and will complete those in 2021. We'll
24 also be soon releasing four more draft biological
25 evaluations on herbicides.

1 Lastly, we have tried to provide certainty by
2 keeping to our schedule of re-evaluating the various
3 pesticides through the reregistration process. We
4 recently took work on the triazines public, and soon we
5 will be releasing, as I mentioned, for herbicides, the
6 draft biological evaluations for simazine, propazine and
7 atrazine. All of this work is very important and us
8 keeping to our commitments of timeliness allows for good
9 input from all of our stakeholders.

10 And the last thing I'm going to talk about is
11 reducing burdens. I mentioned our animal testing
12 initiative earlier. The animal testing initiative is
13 one way that when we can reduce mandated tests and save
14 animals at the same time, that is the best fit.

15 Also, we have proposed this month guidance,
16 drafts, for waiving acute dermal toxicity tests, and we
17 would like to hear from you all on that. But once
18 again, this would allow for some data waivers, but not
19 compromise the quality and science behind our work.

20 We've also had the Plants Incorporated
21 Protectants, or PIP rule, out for public comment, also
22 put out in October. This has been a busy month. Our
23 PIP rule delivers on the President's executive order on
24 modernizing agricultural biotech, and it also is an
25 example of where we believe there isn't a significant

1 risk from plant incorporated protectants that can be
2 generated using technology, but achieve the same outcome
3 as traditional conventional breeding. In those cases,
4 as you see in our proposed rule, we would essentially
5 not regulate those. We would receive notice of them,
6 but not regulate them under FIFRA, because they don't,
7 in our opinion, pose a risk.

8 We will hear from everyone through the comment
9 period, but that's an example of how we're trying to
10 look at what's important for us to regulate, so that we
11 can protect people and the environment, and species, but
12 also use our resources not looking at things that don't
13 pose risk. Using, again, always, the best science to
14 inform our decision making.

15 Just to give you a sense on the plant
16 incorporated protectant rule, there were 12 meetings of
17 the FIFRA Science Advisory Panel that went into the
18 proposal that we have out for comment now.

19 I'm not going to talk a lot about COVID, because
20 you'll hear, later, tomorrow, about our COVID response,
21 but I hope you see that an example of our ability to be
22 nimble and timely in an unusual time of public
23 challenge. I do have my mask here, just got back, was
24 wearing it the whole way.

25 We are living in new times, and this has

1 required our Antimicrobial Division to really step up.
2 They have now over 500 products on our List N, and we
3 are demonstrating that it is important for EPA to review
4 the efficacy of these products. I cannot tell you in a
5 week how many requests we get from companies that have a
6 product that they're looking for the fast track to
7 getting on List N. There is a faster track, if you have
8 your data, and we are moving as fast as possible, but
9 there is no way to avoid the fact that you need data to
10 prove that your product works.

11 Across our Pesticide Program, efficacy is so
12 important, and EPA's review of efficacy. And we may be
13 able to move quicker with the right data, but we can't
14 make that data something that can't be submitted. We
15 need to see it. We need to know these products work.
16 And our staff is doing an incredible job in that regard.

17 So the message that I want to leave you with as
18 I wrap up, and thank you for your patience with my
19 slightly late arrival, and then the technology glitch in
20 the middle. So thank you again for accommodating that.
21 I do apologize for any disruption to your meeting.

22 But I do want to leave you with an assurance
23 that EPA is working hard every single day to find ways
24 to bring new and innovative products to the market,
25 review the products on the market that we have, and

1 ultimately keep our eyes on the prize, which is
2 protecting human health and the environment so that we
3 have safe and abundant food, safe and abundant healthy
4 lands, and we protect the public from public health
5 risks transmitted by insects, we protect our crops from
6 insect forms, we keep our farmers moving efficiently as
7 they grow plants that feed the planet, and thank you for
8 your time on this committee, because your inputs makes
9 us better in what we do.

10 I truly appreciate everything that you do for us
11 and we're only sorry we're not meeting in person,
12 because I know this is a wonderful group, and it would
13 have been great to have those side hallway conversations
14 and shake hands and thank you in person, but for now,
15 the virtual will have to do. And with that, I'd like to
16 answer any questions that you might have.

17 Ed, thank you.

18 MR. MESSINA: Thank you, Alex, and I personally
19 know you rearranged your schedule to be able to do this
20 opening, and I think it shows how much you care about
21 this group and we really appreciate you doing that.

22 Shannon, do we have the ability to field some
23 questions for Alex, and how would you like that to
24 happen?

25 MS. DUNN: And if we don't have time, I would

1 hopefully try to come back on this group tomorrow
2 morning or another time, so we can always save them up.

3 MR. MESSINA: I think we have time for a couple
4 of questions.

5 MS. DUNN: Okay.

6 MR. MESSINA: I'm just wondering how to
7 facilitate that through Shannon or Carla.

8 MS. THERIAULT: Hi, Ed, this is Carla. Does
9 anyone have any questions? Just type your name in the
10 presenter chat, we will call on you and then hit #6 to
11 unmute your phone so that we can all hear you.

12 MR. MESSINA: Thanks, Carla. So I see Mano is
13 typing.

14 MR. BASU: Yeah, can you hear me?

15 MR. MESSINA: Yes, thank you.

16 MR. BASU: Wonderful. Good morning. I
17 appreciate it, Ms. Dunn, and thank you very much for
18 your taking time off from your busy schedule and
19 providing us an overview. It was great.

20 A quick question on the interagency stakeholder
21 meetings on ESA, if you were able to provide any
22 overview, share any updates on, you know, what the plan
23 is going forward with those interagency stakeholder
24 meetings. Thank you very much.

25 MS. DUNN: Yes, absolutely. So thank you for

1 the question, and as you know, under the Farm Bill of
2 2018, we formed the committee made up of USDA,
3 Department of Commerce, National Maritime Fisheries
4 Service within the Department of Commerce, Department of
5 Interior, TPPC, and the Council on Environmental
6 Quality. That group met quite regularly while we were
7 working on developing the new method. And, in fact, the
8 methods were developed by the career scientists and then
9 reviewed by the principals. The committee is chaired by
10 Administrator Wheeler, who is passionate about animals,
11 as you can tell, given his work on animal testing for
12 the agency.

13 So there was great interest, and we met, I would
14 say quite regularly, up until the release of the methods
15 in March. And now what we're doing is we're focusing on
16 implementation. So the methods themselves are not going
17 to change any time soon. What is going to change is our
18 learning through doing, as we roll out, again, methomyl,
19 carbaryl, look at those comments, and then follow with
20 the triazines, and glyphosates will be following after
21 the triazines.

22 Also, our other federal agencies are doing some
23 of their own work using the new methods, and so the best
24 way to sort of think about how we're going to evolve
25 these methods is through their application, and seeing

1 them in practice, and continuing to make them better.

2 Also, we are obligated under the Farm Bill to
3 report to Congress every six months. We reported in
4 June on our progress, which, of course, the main
5 deliverable between January and June was getting the
6 message out, and we'll report again in December. And
7 our report will be on some of the work that we've done
8 under the new methods.

9 MR. BASU: Thank you very much.

10 MR. MESSINA: Any other questions for Alex?

11 (No response.)

12 MR. MESSINA: Well, I know this isn't a shy
13 group, so I'm sure we'll get warmed up as we get
14 rolling.

15 MS. DUNN: Yep. And just to give you a sense of
16 whether people are actually traveling, this is Dulles
17 Airport, an international airport. Do you see anyone?
18 Anyone?

19 MR. MESSINA: You look like the only person -- I
20 was going to say, you should do a screen grab of that to
21 make it your background. You can make it your fake
22 background.

23 MS. DUNN: It's surreal. There's probably -- if
24 I look around -- another 15 people in this terminal. So
25 let's hope we all get back to normal soon. And thank

1 you all. Have a great meeting. And, Ed, I'm going to
2 turn it to you.

3 MR. MESSINA: Thank you so much, Alex. I'm
4 going to turn my screen on.

5 All right, so back to sort of logistics. I'm
6 going to talk a little bit about some of the office
7 moves, the personnel moves, because that was of some
8 interest to folks when we surveyed about where that sort
9 of kicks this off.

10 So I mentioned that Rick has moved up to the
11 director of the deputy assistant administrator for
12 management in OCSPP. Mike Goodis is now in the deputy
13 office director spot that I served. I am currently the
14 acting office director for the Office of Pesticide
15 Programs, which makes me the PPDC chair. So, thanks.

16 I mentioned that Marietta Echeverria moved over
17 to be the director of the Registration Division, to fill
18 in for Mike, and Jan Matuszko has filled in and she's
19 the associate division director of the Environmental
20 Fate and Effects Division, and she is now serving as the
21 acting division director.

22 We also had Bob McNally, who many of you know.
23 He was the division director for the Biopesticides and Pollution
24 Prevention Division. He is entering an agency
25 agreement where he, at his election, phased into

1 retirement, and he has joined the OPP head office as a
2 senior advisor to help with coaching and transitioning
3 for new staff that are coming in.

4 Billy Smith, who was the deputy director of the
5 Pesticides Reevaluation Division has been now serving as
6 the acting division director for the Biopesticides
7 Pollution Division, which Bob had previously run.

8 And then lastly, Jeff Herndon, many of you
9 heard, passed away recently. He was just an incredible
10 member of the OPP family and OPP team. He did a lot of
11 work on the international front with OECD. And so we
12 are mourning the loss of our wonderful colleague and
13 friend Jeff Herndon. Thank you for those who have sent
14 wishes to the family and to our OPP family. So I would
15 be remiss if I did not mention the loss of Jeff and we
16 will dearly miss him.

17 So with sort of those organizational personnel
18 moves, which I know folks are interested in, I'll talk a
19 little bit about, you know, welcoming you. I think you
20 heard a wonderful introduction from Alex and how much we
21 really care about hearing from our stakeholders through
22 this process.

23 The makeup of the PPDC I think this year is
24 really great. You know, we strive to have diverse
25 viewpoints represented on the committee, and as Alex

1 mentioned, we really appreciate the robust conversation
2 that we've had in the past, and I want to continue that
3 in this medium. I know it's a little difficult, but
4 please don't be shy with your comments or criticisms of
5 the agency. We are here to hear them and see if
6 collectively together we can improve the things that now
7 make OPP great.

8 You know, Alex mentioned all the great work.
9 I'm going to talk a little bit later on in the agenda to
10 expand on some of those things. It's just been an
11 amazing year in the telework environment. OPP hasn't missed a beat, in
12 fact in some areas, we exceeded
13 our measures for this year, working hard. Some of the
14 career scientists that you all work with and know are
15 some of the, you know, world-renowned and recognized for
16 the work that they do, and I am honored to be part of
17 that team.

18 So with that in mind, our goal for this meeting
19 is to also share information and some background with
20 the group, have some productive conversations and
21 receive your input, and I'm going to do a go-around for
22 the PPDC members to sort of introduce themselves.

23 And I also wanted to personally thank Dan Kunkel
24 for his service on the PPDC since 2015. Dan has let us
25 know and it is okay for us letting folks know that he is

1 going to be retiring from IR-4 next month, and so he
2 will no longer be representing IR-4 on the PPDC. So
3 thank you, Dan, for your years of service to the PPDC.
4 I personally appreciate all of the work that you do with
5 IR-4. This year was a banner year for IR-4 and their
6 lead in all the work that we're doing and supporting us
7 also on the international front. So appreciate the work
8 of Dan.

9 Happy anniversary, too. We have been
10 functioning basically since 1995, September, so this is
11 sort of an anniversary, a big milestone year for PPDC in
12 providing advice to the EPA administrator. All of the
13 issues associated with pesticide regulatory development
14 and reform initiatives and evolving policy and program
15 implementation issues and policy issues associated with
16 evaluating and reducing risks from pesticides. So it's
17 been a number of years of robust discussion that I hope
18 we can continue into the future.

19 So I'm going to go into some housekeeping items
20 now for folks. There are seven one-pager updates on a
21 variety of topics that are on the website for PPDC, for
22 ongoing policy-related issues. Basically status updates
23 that are available on the website you can find by typing
24 in Pesticide Program Dialogue Committee into your
25 browser and then going to the EPA.gov site, which many

1 of you probably used to join this meeting.

2 And if folks who are not speakers, we would ask
3 that you participate through your computer audio, which
4 hopefully is coming through okay. I think we've been
5 doing a good job of having folks on mute and we're going
6 to have our chairs and our speakers talk about the
7 workgroups.

8 We are also going to have two 15-minute public
9 comment periods per day at 12:45 and 4:45 Eastern time.
10 If you would like to make a public comment, please email
11 Shannon Jewell at Jewell, which is J E W E L L,
12 .Shannon, which is S H A N N O N, @EPA.gov, and her
13 email address will be shown during the breaks, but
14 please send her an email if you would wish to make any
15 public comments during our two 15-minute public comment
16 periods at 12:45 and 4:45.

17 We did that consciously this time, and that was
18 actually an Alex suggestion, to maybe not just put them
19 at the end of the day, with everyone, you know, sort of
20 wrapping up. We wanted to make sure there was plenty of
21 opportunity for public comment, so we had two sessions,
22 and one is in the middle of the day so that folks don't
23 have to wait until the very end of the day to hear
24 comments from the public. So please take advantage of
25 that and please email Shannon Jewell if you are

1 interested in speaking.

2 For committee members that are on the phone
3 lines, please remember to mute your line when not
4 speaking. We will sometimes mute all lines to reduce
5 interference and then you'll need to personally unmute,
6 and Shannon Jewell has sent instructions to the speakers
7 on how to do that.

8 And then because we're not in person, because we
9 don't have the normal tent card that we would raise, if
10 you would like to make a comment or jump into the
11 conversation, if you can just type your name in the
12 presenter chatbox to signal that you would like to make
13 comments or ask questions, please do that, and I have
14 some folks monitoring the chatbox to see folks that want
15 to talk.

16 And then if you need to contact Shannon to let
17 her know that you are not going to be using the computer
18 and using the telephone only and you won't be online so
19 that we can make sure we do have the opportunity for
20 comments. You can also email Shannon at the email that
21 I provided. So if you're not able to be on the Adobe
22 Connect for some reason, but you would like to make a
23 comment and jump into the conversation, just send an
24 email to Shannon and she will recognize you as well.

25 Make sure your computer microphones are muted

1 and so that when you are talking, you are not getting
2 the reverb and the double feedback. So those are some
3 of the small logistical items. What I'm going to turn
4 to now is the agenda, and ask Shannon to pull that up on
5 the screen, which she has already done.

6 So you've seen we've done the welcoming remarks
7 already. We're going to do introductions of the PPDC
8 members next. We're going to -- I'm going to do an
9 update of the recent activities, expanding on some of
10 the information that Alex shared. We'll do a slide deck
11 there. Again, we've got our public comments. We'll do
12 a lunch break. We're going to have our PPDC workgroup
13 update, which Shannon is going to talk about. She is
14 our designated federal officer. And Shannon is going to
15 talk about sort of how the workgroups are formed, the
16 suggested topics that PPDC members provided, sort of the
17 selection process, and the PPDC topics that were
18 selected for pesticide resistance management, emerging
19 agricultural technologies, emerging pathogens, and the
20 farmworker and clinician training.

21 And we're going to hear from each of those
22 workgroups. And the goal today for that is to sort of
23 understand and develop charge questions for where those
24 issues are most important to the agency, you know, how
25 we selected the right charge questions and then the

1 workgroup will then be able to report out in the spring
2 meeting for potential answers to those charge questions.

3 So we're going to hear a little bit of an
4 overview from the workgroup. Some of them are going to
5 be short and quick because we did have some
6 presentations at the last PPDC meeting, back in May,
7 we'll do a brief overview from the chair. We will then
8 show and display some of the potential charge questions,
9 and we will ask for participation on the workgroups and
10 ask for refinement of the charge questions so that after
11 the end of the two days, when we have these sessions, we
12 can have final charge questions, have an understanding
13 of who may be on the workgroup, and then setting up
14 meetings.

15 As I mentioned, we were having a Teams training
16 for folks of the workgroups to have a collaborative
17 place where the workgroups can go up and do some work,
18 and then in May, in the future, we will hear from the
19 workgroups and the answers to the charge questions.

20 So that is sort of the overall goal. So as we
21 dive into the agenda, after the update for PPDC
22 workgroups at 2:30, we will hear from the resistance
23 management workgroup, that will be chaired by Bill Chism
24 and Alan Reynolds, and there's your session goals. And
25 then at 3:45 to 4:45, we are going to do the emerging

1 agricultural technologies workgroup, which I am the
2 chair of, and for which we had nominations for, which
3 was great.

4 Then we'll have our second public comment
5 session at 4:45 to 5:00. And then on day two, tomorrow,
6 at 11:00, I'll be doing the overview of the EPA's
7 COVID-19 activities to address the ongoing health crisis
8 and talk a little bit about sort of the great work that
9 our scientists have been doing in response to that.

10 We'll go into the emerging pathogens workgroup,
11 which is chaired by Taja Blackburn from the
12 Antimicrobials Division. We will do another public
13 comment period. We will have a lunch break. And then
14 we'll go into the farmworker and clinician training
15 workgroup, and Carolyn Schroeder, who is the chief of
16 the Certification Worker Protection Branch and Steve
17 Schaible, are going to lead some of that session.

18 And then, 3:15, we will have our training
19 regarding the collaboration platform. At 3:30, we will
20 do the moving forward, sort of wrap up, you know, what
21 are things that we want to do for the May meeting, how
22 did this meeting go, any improvements we want to make,
23 sort of wrapping up and tying up loose ends. And then
24 we will go into our last and final public comment, and
25 then we will adjourn.

1 So that is an overview of the agenda. And so
2 now, what I would like to do is go through and introduce
3 the committee members and then we can go into our
4 program for the agenda. So I've got a list of the PPDC
5 members, I'm going to ask that -- I'm going to call on
6 you and just, you know, ask that you can sort of
7 announce yourself and let us know that you're there and
8 if you'd like to say a couple of, you know, short
9 opening remarks, feel free to do so.

10 And my list is in alphabetical order by first
11 name, and so the first person to call on is Aaron Lloyd
12 from the Lee County Mosquito Control District in Lee
13 Acres, Florida.

14 MS. JEWELL: Hi, Ed, this is Shannon. I do see
15 that Aaron is on the webinar portion. Perhaps he's not
16 called in. Aaron, make sure that both your phone is
17 unmuted and you've pressed #6 to unmute the global mute
18 of the Adobe Connect meeting, if you're trying to speak.
19 Otherwise, maybe we should just loop back.

20 MR. MESSINA: I'll give Aaron a minute.

21 All right. So next person is Amy Asmus from the
22 Weed Science Society of America.

23 MS. ASMUS: Hello.

24 MR. MESSINA: Amy, are you there?

25 MS. ASMUS: Hello, this is Amy Asmus. I am

1 representing Asmus Farm Supply, who is a farm dealer
2 that deals with farmers and growers in northern Iowa and
3 southern Minnesota. I am here to represent the Weed
4 Science Society. Thank you for allowing us to join.

5 MR. MESSINA: Great. Thank you for your
6 service, Amy.

7 Amy Liebman from the Migrant Clinicians Network.
8 All right, we'll come back to Amy.

9 Caleb Ragland from the National Soybean
10 Association.

11 MS. JEWELL: Folks, make sure that you are
12 unmuting your device and pressing #6 on your keypad as
13 well. Just letting you know, because you may be double
14 muted because of the global mute we have on the
15 conference line.

16 MR. RAGLAND: All right, this is Caleb. Can you
17 hear me now?

18 MR. MESSINA: Yes, thank you, Caleb.

19 MR. RAGLAND: Okay, very good. I represent the
20 American Soybean Association. I'm a farmer in Kentucky,
21 raise soybeans, corn, wheat and pigs on my farm. So
22 thanks for the opportunity to be on the call today.

23 MR. MESSINA: Great. Thank you, Caleb, for
24 participating.

25 Carol Black?

1 MS. BLACK: This is Carol Black with Washington
2 State University, and I have been a pesticide safety
3 educator for 33 years and I am representing the American
4 Association of Pesticide Safety Educators as well as
5 pesticide applicators throughout Washington State.

6 MR. MESSINA: Thank you, Carol.

7 Cathy Tortorici, if I got that correctly,
8 Endangered Species Act Interagency Cooperation Division.

9 MR. TORTORICI: Yes, this is Cathy. Can you
10 hear me?

11 MR. MESSINA: Yes. Thank you, Cathy.

12 MR. TORTORICI: Great. Yes, my name is Cathy
13 Tortorici and I work for NOAA Fisheries here in Silver
14 Spring, Maryland, and my staff and I work on the ESA
15 Section 7 consultation work that Alex mentioned in her
16 remarks regarding FIFRA pesticides. So I'm very glad to
17 be here and looking forward to the conversation. Thanks
18 so much.

19 MR. MESSINA: Thank you, Cathy.

20 Charlotte Liang?

21 MS. LIANG: Yes. Hi, this is Charlotte Liang, I
22 am with the U.S. Food and Drug Administration, Center
23 for Food Safety and Applied Nutrition, Office of Food
24 Safety. I work on policy issues related to pesticide
25 residues in food. I am glad to be here. Thank you.

1 MR. MESSINA: Thank you, Charlotte.

2 Charlotte Sanson?

3 MS. SANSON: Oh, hi, this is Charlotte Sanson.

4 I am head of regulatory affairs for North America, for
5 ADAMA Crop Protection, we're a global crop protection
6 company. And it's a pleasure to serve on PPDC
7 representing the crop protection industry. Thank you.

8 MR. MESSINA: Thank you, Charlotte.

9 Christina Stucker?

10 MS. STUCKER-GASSI: Good morning, everyone.

11 This is Christina Stucker-Gassi with the Northwest
12 Center for Alternatives to Pesticides. We've been
13 around since the mid-1970s, and are happy to be
14 involved.

15 MR. MESSINA: Thanks, Christina.

16 Damon Reabe?

17 MR. RAEBE: Yes, thanks. Damon Reabe, I'm an
18 aerial applicator from Wisconsin representing the
19 National Agricultural Aviation Association.

20 MR. MESSINA: Thanks, Damon.

21 And Dan Kunkel, is Dan on? Is this your last
22 PPDC?

23 MR. KUNKEL: Yes, I am.

24 MR. MESSINA: All right, Dan.

25 MR. KUNKEL: Can you hear me all right, Ed?

1 MR. MESSINA: We can, yeah.

2 MR. KUNKEL: All right. Thank you, Ed. I'm Dan
3 Kunkel, I'm with the IR-4 program, we're a minor use
4 program. We register products for the specialty crop
5 growers. And thanks, Ed, I really appreciate the kind
6 comments. I have very much enjoyed my work with IR-4
7 and a big highlight of that has been working with EPA.
8 So I wish you all the best. Thanks again.

9 MR. MESSINA: Thanks. We will miss you.

10 Dan Markowski?

11 MR. MARKOWSKI: Hello. Good morning, everyone.
12 I am the vice president of Vector Disease Control
13 International. I have been here for, oh, 17 years, I
14 think, doing mosquito surveillance and control
15 operations nationwide. I'm representing the American
16 Mosquito Control Association, districts and governmental
17 agencies throughout the U.S., several thousand members,
18 and most interested in public health pesticide use here.
19 And this is my first year, second meeting of the PPDC.

20 MR. MESSINA: Great. Thank you for your work.

21 David Shaw?

22 MR. SHAW: Yes. My name is David Shaw, and I am
23 a faculty member here at Mississippi State University,
24 weed scientist research and teaching by background.
25 I've been working for the last several years especially

1 with a very broad group of individuals through the Weed
2 Science Society of America's Herbicide Resistance
3 Education Committee, focused on community-based
4 approaches to resistance management.

5 MR. MESSINA: Thank you.

6 Dominic LaJoie?

7 MR. LAJOIE: Yes, hello, everybody. This is
8 Dominic LaJoie, I'm a potato farmer from Maine, and I'm
9 currently the first vice president of the National
10 Potato Council, who I'm representing on this committee.
11 I appreciate being with you all today. Thank you.

12 MR. MESSINA: Thank you, Dominic.

13 Douglas Burkett?

14 MR. BURKETT: Yeah, good morning, PPDC. I hope
15 you can hear me okay. I'm Doug, I'm with the Armed
16 Forces Pest Management Board, that's under the office of
17 the Secretary of Defense and our office is kind of a
18 pest management policy and guidance organization for the
19 Department of Defense. And we're one of those federal
20 agencies that has its own applicator certification
21 program, and thanks to the EPA, they've been super
22 helpful with that, and I appreciate being involved with
23 this group.

24 MR. MESSINA: Great. Thank you, Doug.

25 Edward Wakem?

1 MR. WAKEM: Yeah, good morning, Ed, and PPDC.
2 I'm a veterinarian living in Virginia. I work with Ceva
3 Animal Health and I am on the PPDC representing the
4 American Veterinary Medical Association which has more
5 than 90,000 members of practicing veterinarians in a
6 variety of different disciplines throughout the United
7 States and abroad. I've been on the PPDC now for three
8 years and looking forward to our meeting. Thank you.

9 MR. MESSINA: Great. Thank you.

10 Gary Halvorson?

11 (No response.)

12 MR. MESSINA: All right, we'll check back with
13 Gary later.

14 Gary Prescher?

15 MR. PRESCHER: Yes, good morning.

16 MR. MESSINA: Good morning.

17 MR. PRESCHER: I represent the National Farm
18 Growers Association and I live in a farm in south
19 central Minnesota, and my second meeting, and appreciate
20 the opportunity. Thank you.

21 MR. MESSINA: Great, thanks.

22 Gina Hilton?

23 MS. HILTON: Good morning, my name is Gina
24 Hilton and I am a toxicologist working for PETA, also
25 known as the People for the Ethical Treatment of

1 Animals, and I have ongoing collaborations with
2 regulatory agencies specifically for projects focused on
3 the development and validation of nonanimal test methods
4 for agrochemical risk assessment. And yeah, I just want
5 to say thank you for the opportunity to serve on the
6 PPDC and I'm looking forward to hearing updates during
7 this meeting.

8 MR. MESSINA: Great. Thank you.

9 All right, so you can tell in this world of
10 COVID and teleworking, my office includes closet doors
11 that people need to get to from time to time. But
12 welcome, Gina.

13 Iris Figueroa?

14 MS. FIGUEROA: Good morning, everyone. My name
15 is Iris Figueroa and I work for Farmworker Justice. As
16 our name suggests, we advocate improved both living and
17 working conditions of farmworkers.

18 MR. MESSINA: Thank you, Iris.

19 Jasmine Brown?

20 (Technical difficulties.)

21 MR. MESSINA: I'm getting some feedback. I
22 can't tell if that's Jasmine or if that's somebody who
23 put us on hold. So, Jasmine Brown, we'll come back to
24 you.

25 Jim Fredericks?

1 MR. FREDERICKS: Hi, Ed. Good morning, PPDC.
2 Jim Fredericks with the National Pest Management
3 Association. NPMA represents pest control companies
4 across the United States, working in homes and
5 businesses to help protect public health, food and
6 property from dangerous pests. Thanks for having me
7 this morning.

8 MR. MESSINA: Great, welcome, Jim.
9 Joseph Grzywacz?

10 MR. GRZYWACZ: Hey, good try. My name is Joe
11 Grzywacz, I'm from Florida State University. I do
12 research on occupational health and safety among
13 farmworkers, and this is my second meeting. I'm glad to
14 be here.

15 MR. MESSINA: Great. Thanks, Joe.
16 Karen Reardon?

17 MS. REARDON: Hi, thanks, Ed. This is Karen
18 Reardon, with RISE. Can you hear me? I'm sorry.

19 MR. MESSINA: Yes.

20 MS. REARDON: Hi, this is Karen Reardon with
21 RISE, and we are the trade association that represents
22 the companies that supply pesticides to consumers and
23 professionals for nonagricultural uses. Thanks.

24 MR. MESSINA: Great.

25 Komal Jain?

1 MS. JAIN: Good afternoon, everyone. It is
2 afternoon. So, hi, I am the executive director of the
3 Center for Biocide Chemistries. We're based here in
4 D.C. We are a trade association of more than 50
5 companies that produce antimicrobial pesticides related
6 to disinfection and material preservation. I believe
7 this is my fifth year on PPDC, and I appreciate the
8 continued opportunity.

9 MR. MESSINA: Thanks, Komal.
10 Lauren Lurkins?

11 MS. LURKINS: Hi. My name is Lauren Lurkins. I
12 am the director of environmental policy at Illinois Farm
13 Bureau, and I am the representative for American Farm
14 Bureau Federation. Thank you.

15 MR. MESSINA: Thank you, Lauren.
16 Liza Fleeson Trossbach?

17 MS. TROSSBACH: Good afternoon, this is Liza
18 Fleeson Trossbach, I am with the Virginia Department of
19 Agriculture and Consumer Services, and it is my
20 continuing privilege to serve as a representative for
21 the Association of American Pest Control Officials, or
22 AAPCO. AAPCO represents state and territorial pesticide
23 regulatory officials. Our responsibilities include
24 applicator certification, licensing of businesses,
25 registration of products and, of course, ensuring the

1 proper use of pesticides. So, again, it's a pleasure to
2 be here with PPDC.

3 MR. MESSINA: Thank you, Liza.

4 Lori Ann Burd?

5 MS. BURD: Hi, this is Lori Ann. Can you hear
6 me?

7 MR. MESSINA: Yes.

8 MS. BURD: Great.

9 MR. MESSINA: I'm getting a little bit of
10 feedback, so maybe if you can turn your computer down.

11 MS. BURD: Is that better?

12 MR. MESSINA: Yes.

13 MS. BURD: Great. Hi, my name is Lori Ann Burd,
14 I am the environmental health director at the Center for
15 Biological Diversity. I am here to give voice to the
16 people, plants and animals imperiled by dangerous
17 pesticides, and my focus is on keeping endangered
18 species, like whooping cranes and the rusty patched
19 bumblebee, from going extinct.

20 MR. MESSINA: Thank you, Lori Ann.

21 Mano Basu?

22 MR. BASU: Good afternoon, Ed, and good
23 afternoon, PPDC. I am Mano Basu, I represent CropLife
24 America. We are a trade association representing
25 developers, manufacturers, formulators and distributors

1 of plant science solutions for agricultural and pest
2 management in the United States. This is my first year
3 on PPDC. Thank you for the privilege to serve on PPDC,
4 and I look forward to this PPDC meeting. Thanks, Ed.

5 MR. MESSINA: Thanks, Mano.

6 Mark Johnson?

7 MR. MARK JOHNSON: Good morning, everyone. My
8 name is Mark Johnson, I am Mark Johnson with the Golf
9 Course Superintendents Association, we represent 19,000
10 members involved with golf course management. This is
11 my first year and I'm very happy to be here. Thank you.

12 MR. MESSINA: Thanks, Mark.

13 Mily Trevino-Sauceda?

14 (No response.)

15 MR. MESSINA: Do we have anyone from the Alianza
16 Nacional de Campesinas?

17 (No response.)

18 MS. JEWELL: I wonder if -- yeah, let's come
19 back to Mily. Maybe Mily has the double mute, so when
20 we come back around, maybe make sure to unmute your
21 device and press #6.

22 MR. MESSINA: Great. Nina Wilson?

23 MS. WILSON: Good morning, everybody. I'm Nina
24 Wilson with Gowan Company. Hello, everybody, can you
25 hear me now? I'm Nina Wilson with Gowan Company, I

1 represent the Biological Products Industry Alliance
2 where I am the vice chair of the board. BPIA promotes
3 the responsible development and use of fate and insectal
4 biological products which include biopesticides,
5 biostimulants and biothermalizers, and I thank everybody
6 at EPA for overcoming the technical challenges of
7 bringing such a group together.

8 MR. MESSINA: Thank you, Nina.

9 Patrick Johnson?

10 MR. PATRICK JOHNSON: Good morning, I'm Patrick
11 Johnson, I'm a farmer in northwest Mississippi. We grow
12 cotton, rice, corn and soybeans and I'm representing the
13 National Cotton Council on the committee and I look
14 forward to the meeting.

15 MR. MESSINA: Thank you so much.

16 Ruben Arroyo?

17 (No response.)

18 MR. MESSINA: All right, we'll come back to
19 Ruben.

20 Sheryl Kunickis, welcome. If you're speaking,
21 you're on mute. Sheryl?

22 (No response.)

23 MR. MESSINA: We can wave, we can see you, we
24 can work that out. So we know you're here. Thank you,
25 Sheryl. And we'll get you set up so we can hear you,

1 because we definitely want to be able to do that.

2 All right, Steve Bennett?

3 MR. BENNETT: Good afternoon, I am Steve Bennett
4 with Household and Commercial Products Association. We
5 represent companies selling commercial and/or
6 conventional and antimicrobial products in the consumer
7 and household space.

8 MR. MESSINA: Thank you, Steve.

9 MR. ARROYO: Ed, this is Ruben. Can you hear me
10 now?

11 MR. MESSINA: Yeah, Ruben Arroyo?

12 MR. ARROYO: Yeah, sorry about that, I had the
13 double mute on there. So Ruben Arroyo, I'm from
14 Riverside County in California. This is my first year
15 on the committee. I'm the California Agricultural
16 Commissioner. We handle the local pesticide use
17 enforcement, which includes the field worker safety and
18 label interpretations as far as inspections out in the
19 field and make sure that our growers and our industry is
20 following the label. Thank you.

21 MR. MESSINA: Great. Thank you, Ruben.

22 So back to Tim Lust.

23 MR. LUST: Tim Lust, I serve as CEO of the
24 National Sorghum Producers, a trade association
25 representing growers of sorghum around the United

1 States. I've been involved in registration,
2 reregistration process for over 20 years on products
3 related to our commodity.

4 MR. MESSINA: Great. Thank you, Tim.

5 Tim Tucker?

6 (No response.)

7 MR. MESSINA: All right, we can come back to Tim
8 Tucker.

9 And Walter Alarcon. I pronounced that
10 incorrectly, I'm sure.

11 MR. ALARCON: Yeah, that's fine, this is Walter
12 Alarcon. Can you hear me?

13 MR. MESSINA: Yes.

14 MR. ALARCON: Yes. This is Walter Alarcon. I
15 work for the National Institute for Occupational Safety
16 and Health, NIOSH, which is a center for disease control
17 and prevention in Cincinnati, Ohio, and we do pesticide
18 monitoring and tracking in the sense of pesticide
19 products. Thanks.

20 MR. MESSINA: Great. Thank you so much.

21 So the only individuals we didn't hear from
22 today are Aaron Lloyd, Amy Liebman, Gary Halvorson,
23 Jasmine Brown, Mily Trevino-Sauceda and Tim Tucker. I
24 just want to see if Aaron Lloyd has been able to join or
25 figure out the mute button.

1 (No response.)

2 MR. MESSINA: All right, Amy Liebman?

3 MS. LIEBMAN: Hi, good morning. Can you hear
4 me?

5 MR. MESSINA: Yes, thank you, Amy.

6 MS. LIEBMAN: Hi. I'm Amy Liebman from the
7 Migrant Clinicians Network. I head up our environmental
8 and occupational health programming. Migrant Clinicians
9 Network is a national network serving over 10,000
10 clinicians who are caring for farmworkers, immigrants
11 and their families.

12 MR. MESSINA: Thanks.

13 All right, so Gary Halvorson?

14 (No response.)

15 MR. MESSINA: Jasmine Brown?

16 (No response.)

17 MR. MESSINA: And Mily Trevino-Sauceda?

18 MS. TREVINO-SAUCEDA: Hi, can you hear me?

19 MR. MESSINA: Yes. Thank you, Mily.

20 MS. TREVINO-SAUCEDA: Okay, yes. Mily
21 Trevino-Sauceda, I apologize. I'm new with the
22 technology. Well, this kind of technology. Mily
23 Trevino-Sauceda with Alianza Nacional de Campesinas,
24 which is the National Alliance of Farmworker Women, and
25 I'm here in California and we have 15 different

1 organizations that are representing all farmworkers, and
2 we care a lot about farmworkers and the exposures of
3 pesticides and the community surrounding the
4 agricultural areas where there's a lot of negligence.
5 This is why my presence in being here. Thank you so
6 much.

7 MR. MESSINA: Thank you so much for joining.

8 All right, lastly, Tim Tucker? One more time
9 for Tim?

10 (No response.)

11 MR. MESSINA: Okay. Is there anybody that I
12 left out that did not get to announce that is on our
13 Pesticide Program Dialogue Committee roster?

14 (No response.)

15 MR. MESSINA: All right. Well, again, welcome,
16 everyone. I think you can see we have a wonderful,
17 diverse group and an incredible level of expertise
18 represented on this PPDC committee to help OPP out. So
19 we really appreciate your time and commitment to this
20 process.

21 So with that, in looking at the agenda, I am
22 going to move quickly into the OPP updates. I will end
23 at 12:45, and I will go into our public comments, we
24 will have a lunch break and then we will get rolling
25 with our PPDC workgroup process or updates, and then

1 also diving into each of the workgroups to develop some
2 charge questions and staffing up the workgroups. So
3 thank you.

4 So, with that, oh, look, it's up on the screen.
5 Perfect. Okay. Thank you.

6 All right. So OPP responsibilities, you heard a
7 little bit of what Alex talked about this morning.
8 These are our big priorities, protecting human health
9 and the environment, ensuring pesticide users have
10 information, examples, you know, clear labeling that
11 allows for proper use, ensuring any pesticide residues
12 on food are safe, ensuring decisions reflect the best
13 science and policy judgment, meeting market needs so
14 that industry gets their produce on the shelves and
15 farmers and other consumers get products that they need,
16 and then meeting milestones in our statutorily mandated
17 deadlines for regulatory actions.

18 A number of statutes govern these
19 responsibilities and we keep a close eye on those to
20 make sure we are continuing to work through the issues
21 under FIFRA and FFDCA and PRIA and we've gotten ESA work
22 as well. You've heard a number of the issues that are
23 there.

24 So as we suspected, when you put the PowerPoint
25 through Adobe, it does not like it. So I think what I

1 can do is later on I'll display the sort of the new org
2 structure. So as you know, OCSPP went through a
3 reorganization very recently. This is the first week.
4 In essence, for OPP, what that means is the former
5 division that we had, which were our Field and External
6 Affairs Divisions, which did our communications and
7 outreach, and our ITRMD, our Information Technology
8 Branch Division, was moved into a new organization
9 called Office of Program Support, and that's called OPS.

10 And so a number of those individuals that were
11 in those divisions that were formerly in OPP are now in
12 a separate office of OPS, and thank you for putting the
13 slides through so you can see on slide 3, we can click
14 on that, and folks can see kind of what the new org
15 structure looks like for OCSPP. And it's the Office of
16 Pesticide Programs. We have OPPT, and then we've got
17 our Office of Program Support, which is newly formed.

18 And on the next slide, which I guess I can
19 navigate, there's a window in the way of my view, and
20 I'm wondering if it's there for others as well.

21 MS. JEWELL: Okay, Ed, I think I have to get out
22 of slides to take care of that, but I'll get it and get
23 those slides right back up for you.

24 MR. MESSINA: Okay. Yeah, we're waiting for the
25 slides to sort of load.

1 So the bottom line, and I don't really need the
2 slide, because I know it, but for others. So we were
3 nine divisions, with our ITRMD and our FEAD Division.
4 We are now at seven divisions. And also the independent
5 structure program, screening program, was moved to the
6 OPP front office. So with that addition, we have our
7 Antimicrobials Division, Anita Pease; Biological and
8 Economic Analysis Division, which is Kimberly Nesci; the
9 Biopesticide and Pollution Prevention Division, as I
10 mentioned, is Billy; our Environmental Fate and Effects
11 Division, that's Jan Matuszko; our Health Effects
12 Division is Dana Vogel; and our Pesticide Reevaluation
13 Division is Elissa Reaves; and then we have our
14 Registration Division, which is Marietta Echeverria.

15 So basically impact to OPP is the IT folks and
16 the communication folks are now in a separate
17 organization, we're still working seamlessly with them,
18 they're still part of the OCSPP family, but I know there
19 was interest in understanding how OPP was faring through
20 the OCSPP reorganization, which has just been effective
21 this week.

22 So the next slide, which I can do I guess, and
23 it's kind of small because it's in presenter mode, it's
24 not in presentation mode. Shannon, if there's a way to
25 fix that.

1 MS. JEWELL: Okay.

2 MR. MESSINA: So I think you need to change the
3 primary screen to be the presentation screen, versus the
4 primary screen.

5 MS. JEWELL: I'm going to call on Carla or
6 Jeremy to please do that if possible, just because of
7 the way I have the slides here, it's not giving me that
8 option. So hold on just a second, Ed, sorry about that.

9 MS. BLACK: Actually, you can just go to the top
10 of the screen and hit Display Settings, on Display
11 Settings, go from Presenter View to Display View. That
12 screen. You've got to --

13 MR. MESSINA: Yeah, thanks. Thanks, Carol. It
14 doesn't work for me. I don't have control, Shannon or
15 someone. Right after Show Task Bar, to the right is
16 Display Settings.

17 So these are our OPP priorities, meeting our
18 PRIA statutory deadlines, progressing the registration
19 review program, advancing critical science and policy
20 issues, working collaboratively with our state partners
21 and stakeholders to implement the program. And then
22 I've got a slide, we are undertaking within OPP trying
23 to be a lean organization, so we implemented EPA's lean
24 management system within our Office of Pesticide
25 Programs and within OCSPP, and we've made a number of

1 improvements across OPP as a result.

2 On the next slide, which I can now no longer
3 advance. All right. So just to give you an
4 understanding of the volume of work within OPP. This
5 past year, we received about 13,000 submissions via our
6 portal. We also processed about 71,000 documents
7 through our IT system and all the various decisions that
8 we're working on. Just to give you a sense of the raw
9 numbers.

10 When I present, I go right into the new active
11 ingredients, which are a small subset of the 13,000, but
12 it is one of our priorities is making sure that growers
13 have new technologies and tools at their disposal. Also
14 these new chemicals tend to have a lower toxicity
15 profile than some of our legacy chemicals. So ensuring
16 that when we get a new application for a new active
17 ingredient, it becomes one of our top priorities. And
18 last year, we were able to deal with around 16 pretty
19 interesting products, and you heard Alex mention a
20 couple of those.

21 We also registered 163 new uses for existing
22 pesticides. We had about 2,300 PRIA actions completed.
23 And as I mentioned, this year we did about 200 more PRIA
24 actions completed than we had last year in terms of our
25 metrics. So even though we were teleworking 100

1 percent, we didn't miss a beat and continued to be very
2 productive in this new sort of normal of the
3 teleworking.

4 Our on-time completion rate, that's based on
5 renegotiations that happened, but where there are
6 renegotiations, we're meeting the new renegotiated rate
7 98 percent of the time. Our renegotiation rate has been
8 creeping up, so we are renegotiating more PRIA actions,
9 but we're trying to focus on that metric and reduce that
10 number over time, and we have a number of lean efforts
11 to try to reduce the renegotiation effort and continue
12 throughput.

13 So these are some of the new active ingredients
14 that Alex mentioned. So you have a slide and a takeaway
15 after the session in the PPDC notes, you can at your
16 leisure read some of those sort of new and exciting work
17 that's coming out from industry and other work within
18 EPA approving needs for safe and effective new
19 pesticides.

20 We also processed about 68 Section 18 emergency
21 exemptions. So these are critical areas where, you
22 know, in particular states that don't have certain tools
23 seek an emergency exemption from EPA. We tried to
24 minimize the number of section 18s that we are doing.
25 We do focus on them and we want to make sure if there's

1 a Section 18 we sort of ask ourselves, you know, why
2 isn't there a Section 3 for this, if this is a critical
3 use, and we make sure that we constantly revisit the
4 Section 18s. But we have them come up from time to time
5 as a particular pesticide where there isn't a control.
6 We are definitely willing to work with the states to
7 make sure that we're addressing ongoing emergency
8 situations where we can through our Section 18 process.

9 We work closely with the consortium of pesticide
10 industry and trade organizations to address supply chain
11 challenges. So we were approving efficiencies in the
12 registration process by allowing manufacturers to obtain
13 certain inert ingredients, commodity ingredients from
14 different suppliers without the need to check in with
15 the agency for approval.

16 Part of our streamlining effort, and we've been
17 doing that, also, in the COVID context, where I'll talk
18 tomorrow, where because of the vast supply chain
19 disruption as a result of COVID-19, the people are
20 needing to change suppliers, you know, whether it be
21 wipes that are used for disinfectants or actual active
22 ingredients. So how we can address those supply chain
23 issues because of the -- we understand sort of, as folks
24 have been shopping, you realize maybe there aren't as
25 many disinfectants as are needed, so what can we do as

1 an agency to make sure that products make it to market
2 and are available for consumers and growers.

3 So on the registration review program, as folks
4 are aware, under FIFRA, we are required to complete
5 every 15 years the reevaluation of pesticides that are
6 in the marketplace. The first round of registration
7 review needs to be completed. It was completed on
8 October 2007, and that encompassed about 1,000 pesticide
9 active ingredients, and now we need to complete the
10 registration review, the new registration reprocess
11 under Section 3 of FIFRA by October 1st, 2022. And we
12 are marching towards that goal. It's actually 726 cases
13 now, but a small point.

14 And we did 98 registration review decisions and
15 100 draft risk assessments that were completed in 2020,
16 but the draft risk assessments were above our goal, and
17 98 registration decisions were slightly below our goal.
18 So we continue to be on track.

19 And then in fiscal year 2020, we focused on
20 pyrethroids, rodenticides and the neonicotinoids and
21 some of the pesticide chemicals that folks are
22 interested in.

23 So this is what we have remaining. We have 646
24 draft risk assessments completed, which leaves about 11
25 percent of the 725 or 726. That's good news because the

1 draft risk assessments are the first step in the process
2 for completing registration review, as you know, and
3 that leads into the proposed interim decisions, and then
4 the final interim decisions to be completed, for which
5 we have about 34 percent remaining to meet the October
6 deadline.

7 We've also had a number of registration review
8 updates for takeaway, and we've got some one-pagers for
9 you on the particular chemicals of interest. Atrazine
10 is one that was of interest this year. In September we
11 released the interim decision for the triazines, which
12 are atrazine, propazine and simazine, which finalized
13 our measures to protect human health and mitigate
14 potential ecological risks. We required additional
15 mitigation measures, which are listed here, and we are
16 working with the states and the registrants to improve
17 and approve new labels.

18 Chlorpyrifos and glyphosate were recent
19 announcements that you would have seen in the Federal
20 Register and through press releases. So we recently
21 announced in the Federal Register the publication of the
22 draft ecological revised risk assessment, and as many of
23 you know, during the registration review process, there
24 are a number of opportunities for the public to comment
25 on the work that EPA is doing. The draft risk

1 assessment stage, the proposed interim decision stage
2 are areas where there's time for public comment. So
3 right now we are looking at public comment. On
4 chlorpyrifos, we're going to issue the proposed interim
5 decision for chlorpyrifos pretty soon and it's scheduled
6 to be made available say in the fall of this year, and
7 we're also going to be jointly taking comment on the DRA
8 and the PID.

9 Glyphosate was in early February of this year,
10 we issued the interim decision, which included
11 additional mitigation and language changes for
12 glyphosate, and so we are working that issue through our
13 process. As you also heard from Alex, the draft BEs for
14 glyphosate are also expected, as well as the draft BEs
15 for the atrazine and the triazines. They will be
16 hopefully coming out fairly soon in the fall.

17 So the rodenticides were another big list for
18 registration review. The draft risk assessments for the
19 rodenticides were completed this fiscal year. The next
20 step in the registration review process is public
21 comment, as I mentioned, and are expected to have a
22 proposed interim decision in early 2021.

23 And the pyrethroids we've been working, as I
24 mentioned, pretty hard on those and we published a
25 number of the interim decisions related to the classic

1 pyrethroids, as well as some interim decisions for the
2 pyrethroids, and we're planning to publish the remaining
3 pyrethroid interim decisions in 2021. So that's coming
4 as well.

5 Neonicotinoids, February 2020, we published the
6 proposed interim decisions for the class of
7 neonicotinoids. This includes proposed language on
8 residential labeling, noting that the products for use
9 on environmental plants are intended for use by
10 professional applicators. And you have additional
11 mitigation as part of the interim decisions related to
12 that class of neonicotinoids. And there's also
13 mitigation to address aquatic invertebrates from the
14 applications and working on developing stewardship
15 programs and best management practices.

16 We received almost 200,000 comments on this
17 particular class of chemicals, and of great interest to
18 many. And after reviewing public input, we're
19 anticipating issuing our interim decision by 2021, in
20 advance of the 2022 deadline.

21 Paraquat is also a chemical of interest to many.
22 We issued the proposed decision for paraquat and we
23 proposed new measures to reduce risk for human health.
24 There's a certain human health element to it, as folks
25 are aware. We've taken steps also outside the standard

1 registration review process to ensure that paraquat is
2 used in a manner that's safe and effective and
3 consistent with the labeling. It includes additional
4 safety awareness campaigns and specialized training for
5 those using paraquat because of the high-risk nature and
6 impact to human health that this particular active
7 ingredient poses, but that was work that we did this
8 year as well.

9 So there's plenty more to talk about on the
10 registration review update. There's plenty more active
11 ingredients out there and products. If you're looking
12 for more in-depth analysis of these products, you can
13 find them on the PPDC website. We also have a website
14 in the agency that was well south of schedule for our
15 registration review, and you can find that on EPA's
16 website for registration review.

17 So on the critical science policy issues, so
18 first I talked about the active ingredients and I talked
19 about registration review, now we're talking about the
20 science policy achievements. So we released three new
21 methodologies to improve drinking water assessments this
22 year. As we mentioned, we released new methods for
23 biological evaluations under ESA, and we are releasing,
24 along with the revised methods, we actually released
25 specific application of those methods to methomyl and

1 carbaryl.

2 We had a webinar on the draft BEs, and as Alex
3 mentioned, we submitted our second ESA report to
4 Congress highlighting some of the things that Alex
5 mentioned. That happened as part of the interagency
6 workgroup and review for tackling this real policy and
7 science issue, which is the intersection between FIFRA
8 and ESA.

9 So we spent a lot of time this year trying to
10 work through those issues, and I really applaud the ESA
11 teams within EPA and the other agencies for coming
12 together to develop a plan going forward. So you'll
13 continue to see, as time goes on, EPA using their
14 revised protocols, working with those services.

15 And then we worked on collaborating with PETA in
16 Canada, with the carcinogenicity assessments for
17 agrochemical projects and that group. And we have
18 continued advancing science in that area.

19 We have made significant strides in several
20 areas to support the pollinator initiative as well.
21 This year we cohosted with USDA the Pollinator State of
22 the Science Workshop Webinar. We hosted webinars, the
23 agricultural stewardship and best practices to reduce
24 pollinator risk. We conducted a series of five
25 pollinator-focused public webinars, including two on the

1 design of honeybee studies and bee risk assessment
2 frameworks, and we established, as Alex mentioned, the
3 first ever Pollinator Week, joining our federal partners
4 with similar initiatives in the Department of
5 Agriculture and Department of Interior. So the
6 pollinator work within EPA continues and we continue to
7 advance the science in that area.

8 Collaborating with our state partners, we do a
9 number of webinars for integrated pest management, which
10 supports our state partners. We had our IPM webinar
11 series, an eight-part series that drew over 3,000
12 attendees. We had a Region 1 tick and mosquito
13 management webinar, Alex spoke of that, which hosted two
14 webinars in Region 1 on mosquito threats to control for
15 camp and recreational land managers as well.

16 And then we did an international teleclass on
17 mosquito management presented to about 3,000 views. We
18 had about 1,000 people that attended and we continued to
19 get views of these webinars and sessions through our IBM
20 center. So we're really proud of the work that we're
21 doing there.

22 Lots of rulemaking. PIPs, which is the plan
23 incorporated protectants, and we've got crop groupings,
24 so creating efficiency by grouping data and crops
25 together for data generation, saving resources. We had

1 the AEZ final rule, which we're continuing to work on.
2 We've made the list of pesticides of the public
3 significant health pests, updating that with the USDA.
4 So we're continuing to work on that.

5 And cytosine on minimum risk was something that
6 we put out there as well. We're continuing to work on
7 how 25(b) intersects, and that's the list of low-risk
8 pesticides under FIFRA Section 25(b), which is of
9 great interest to a number of folks. And we did put out
10 a public comment on, in particular, 25(b). We're
11 continuing to do work internally to take comment on our
12 25(b) process. So you should see something hopefully soon on
13 that. So we continue to do lots of rulemakings.

14 We get lots of FOIAs every year and we tend to
15 have a backlog. We had a Lean A3 project designed to
16 try to reduce the backlog and it's certainly an
17 interesting process because we get so many. OPP is by
18 far one of the largest FOIA recipients within the
19 agency. The administrator's office sometimes gets the
20 most, but sometimes in a month we are number one for
21 FOIA requests. So a lot of folks are really interested
22 in the work that we're doing.

23 We opened 160 dockets and we received, you know,
24 half a million public comments on the work that we're
25 doing. And we updated over 900 webpages this year for

1 making sure that the public had accurate information on
2 the work that EPA was undertaking.

3 We also had 9,000 web mail inquiries. We had 15
4 press releases, 48 OPP updates. If you're interested in
5 receiving information from the Office of Pesticide
6 Programs about the work we're doing in realtime, you can
7 go to the Office of Pesticide Programs webpage and you
8 can sign up to be on the listserve so that the minute
9 that press releases come out, you can get information
10 through our OPP updates channel.

11 And so when some of the active ingredients that
12 I've talked about are announced for public comment, we
13 do those OPP updates. When new active ingredients are
14 noticed, we do an OPP update. And we also do our
15 particular Federal Register notices, but really getting
16 realtime and understanding sort of the work that
17 everybody is doing.

18 And we did -- you know, basically it's -- you
19 know, there's something happening every week just
20 showing by the numbers, and in some cases, I feel like,
21 you know, there's two or three times a week that we're
22 doing some pretty significant press on some of the items
23 that OPP is working on.

24 And then we responded to press inquiries and had
25 a number of letters that folks send in. We have

1 petitions that we are responding to as well as part of
2 our involvement.

3 So, lastly, and rounding us out to the 12:45
4 mark, where we can take public comment from those that
5 have asked Shannon to speak, we have our EPA Lean
6 Management System. I was the sort of spearhead within
7 the office for putting the ELMS program in place, and I
8 can say this chart shows the progress we've been making,
9 if it would show through Adobe Connect. So, Shannon, if
10 you want to pull that up. But basically 80 percent of
11 the staff are engaged in Lean management processes.

12 And so what that means is if you're a fan of
13 Lean or practitioner of Lean, what that means is we take
14 a look at the workflow and the process that's occurring
15 to examine how there can be efficiencies in that
16 process. And a lot of what OPP does on a daily basis is
17 the science review and the risk assessments. And so we
18 have taken that process and looked for ways where we can
19 streamline that workflow. Working with staff. So staff
20 are the ones deciding, you know, how can this workflow
21 be improved.

22 And there's a number of Lean topics, you know,
23 which is called SIPOC, which is supplies, inputs,
24 process, outputs, and the customers of the process. So
25 a customer of a process can be the next person along the

1 chain. So are you getting that next person along the
2 chain the information they need to act on a decision.

3 So we've put a number of Lean practices in place
4 within OPP. We've also been doing some modernization of
5 our IP systems using a customer relations management
6 software approach where we can see the work and
7 visualize where the work is going, where some of the
8 bottlenecks are, where the workload is. So we have
9 instituted that as part of the process efficiencies.

10 And then we take our measures, you know, our
11 visual display measures and we report up to them as part
12 of our agency-wide measures. And we track things like
13 how long is it taking us to act on new active ingredient
14 applications. How are we doing on our PRIA dates. How
15 long and how many renegotiations are we doing is some of
16 the metrics that you've seen. How are we doing towards
17 progressing towards meeting the 726 cases by October
18 2022. What are some of the cases that are lagging
19 behind.

20 Looking at when you are setting goals as part of
21 your Lean process. So that's another thing, you sort of
22 say, okay, what is the work, what is the goal for when
23 you want this completed, and are you meeting your goals.

24 And you could use visual management to say, we
25 are in the green, in the yellow or in the red, and you

1 can for this chart, this is an easy sort of example of
2 kind of what the bowling chart looks like, and it shows
3 kind of how we're doing towards meeting our measures.
4 And if it's red, it means we didn't meet our measure; if
5 it's green, it means we met our measure; and if it's
6 yellow, it means we kind of just missed our measure.
7 And so these are some of the things that we do.

8 So, with that, we can take these slides down and
9 put our thank you slides, and take any quick questions
10 before our 12:45 kick off. So I put us back on time on
11 the agenda.

12 Oh, can you go back to the home slide? That's
13 our progress and you can see how we track over time.
14 Too late. We track over time how we are progressing
15 towards meeting our ELMS goal and at the end you can see
16 that we hit our mark. So that was what I was supposed
17 to display. So thank you, and thank you for your time,
18 everyone.

19 So, Shannon, it looks like we're ready for
20 public comments. Did you receive any emails for folks
21 to make comments? And we can kind of use the next
22 period for public comments and questions.

23 So the next slide, please. If you want to show
24 the ELMS. There it is. So you can see every month we
25 tracked how we were progressing and then we finally got

1 into the green in September. We're at 80 percent of the
2 OPP staff are now using ELMS processes for the work that
3 they are doing.

4 All right, with that, Shannon, I think we can
5 move into the public comment period, since that's where
6 we are on the agenda. And, Shannon, you're on mute, if
7 you're trying to talk.

8 MS. JEWELL: Can you hear me now, Ed?

9 MR. MESSINA: Yes.

10 MS. JEWELL: Okay. Yeah, well, we should have
11 Jessica Ponder, she would like to make a public comment.
12 Jessica, are you on the phone?

13 MS. PONDER: Hi, Shannon. Can everybody hear
14 me?

15 MS. JEWELL: Yep.

16 MS. PONDER: Thank you. My name is Jessica
17 Ponder and I am a regulatory testing analyst for the
18 Physicians Committee for Responsible Medicine.

19 The Physicians Committee for Responsible
20 Medicine is a nationwide nonprofit that supports
21 modernized test methods that replace or reduce the use
22 of animals. We support the EPA's efforts to refine and
23 modernize testing requirements to reflect the most
24 updated science because it offers the opportunity to
25 save animals and resource while maintaining or even

1 improving environmental and human health protections.

2 We appreciate OPP's efforts over the past
3 several years in this regard, including a recent
4 proposal to allow waivers for dermal toxicity where
5 those tests or not used in regulatory decisionmaking.
6 This single proposal, based on a retrospective analysis
7 of the practical utility of dermal toxicity LD50 end
8 points is expected to conserve significant EPA resources
9 and spare 750 rabbits per year from testing.

10 Additionally, we are particularly enthusiastic
11 about the introduction of transparency for the
12 establishment of open access to metrics by which agency
13 efforts to replace or reduce animal testing with 21st
14 Century science methodologies can be evaluated for
15 efficacy. Novel methodologies that better inform the
16 agency and the public of human health risks continue to
17 be developed and therefore establishing these metrics is
18 paramount to driving effective policy changes to
19 integrate these technologies into decision making.

20 We would also like to commend the OPP's use of
21 the Federal Insecticide, Fungicide and Rodenticide Act
22 Scientific Advisory Panel to evaluate new approach
23 methodologies to inform human health risk assessment.
24 Most recently, for the developmental neurotoxicity
25 assessment of organophosphate pesticides and for in

1 vitro inhalation toxicity in 2018.

2 Envisioning the application of new approach
3 methodologies to complex risk assessment challenges can
4 be difficult, so taking this case study approach makes
5 good sense to demonstrate the added value of new
6 approaches to specific problem formulations and will
7 help to make progress in the adoption of these
8 approaches for additional applications.

9 We look forward to a continued partnership
10 with the EPA supporting these efforts and we look
11 forward to seeing progress in implementing non-animal
12 approaches for dermal penetration, skin and eye
13 irritation, and acute lethality in the coming months.
14 Thank you very much.

15 MR. MESSINA: Yes, thank you for those comments.
16 So, yeah, in addition to the work that I showed on the
17 science side, we've definitely been supporting the
18 administrator's call for the agency to reduce animal
19 testing, and we had a number of significant decisions
20 this year and actions, and thank you for mentioning
21 that. I appreciate it.

22 So any other public comments, Shannon?

23 MS. JEWELL: We don't have any more public
24 comments right now, Ed.

25 MR. MESSINA: Any questions from the OPP update

1 presentation? And tomorrow we'll be doing, after we do
2 our sessions from the workgroups today, tomorrow are
3 COVID updates, so you can hear some risk-specific
4 activities we've been doing for the COVID response, but
5 any questions on today's materials?

6 MR. BASU: Hi, Ed, it's Manojit Basu from
7 CropLife America. Can you hear me?

8 MR. MESSINA: Yes.

9 MR. BASU: Great, thank you. Thank you for the
10 overview. I just had two follow-up questions. One was
11 if you can share anything about OPP office moves from
12 Crystal City to downtown, anything on the timeline. And
13 second, with all the focus on Lean and, you know, some
14 of these IT visualizations, too, what kind of impact
15 will these division moves have on some of your IT
16 process improvement work that is high priority right
17 now, specifically the R&D and IT and the other division
18 moving away from OPP? Thank you.

19 MR. MESSINA: Yeah, great question. So no word
20 on the physical moves. So as folks know, OPP has been
21 in Potomac Yard and on the Virginia side of the river
22 for 20 years, even longer. And so the whole telework,
23 working from home, has sort of put a pause in people,
24 you know, physically going to the office to pack up
25 their boxes. So until that issue gets resolved, I don't

1 think we'll have any additional information on when the
2 move is happening, although it is something that is
3 still on the agency's radar to do.

4 So the reorganization that's effective this
5 week, in fact, was tied a little bit to the move because
6 if OPP were moving across the way, to D.C., it made
7 sense to consolidate the organization structure first,
8 because we would have people that were more physically
9 located and collocated. So if we had an IT shop that
10 was serving both OPPT and OPP, why would there be a need
11 for them to be separate, if OPP and OPPT were going to
12 be collocated.

13 Similarly for communications and new work. So
14 that's another sort of reason, but, you know, among the
15 many structural and process improvement pieces for
16 consolidating those resources made sense. The move also
17 sort of played into that, too, because simply we're to
18 be collocated, it made sense to sort of have common
19 functions being serviced by a common entity.

20 So the IT program within OPP has moved to OPS.
21 There should be no impact on the digital transformation
22 that OPP is undergoing through that move. In fact, this
23 morning, we had a check-in with the team on how the
24 digital transformation was going, and for folks that are
25 interested in the deep dive, as I mentioned, we launched our

1 CRM. We selected Salesforce as the vendor, which is a
2 low-code, license-based, and reasoning agile
3 development, and we're actually live in our BPPD
4 division. So it's being used right now for workflow in
5 BPPD.

6 We recently launched, and it's working. We have
7 a number of experiments that we are doing to continue to
8 add functionality for BPPD, and it's been a great
9 learning process, like any digital transformation. It's
10 sometimes messy while you're in it, but the enhanced
11 productivity I think is going to pay off in the long
12 run.

13 So, for an example, and I've mentioned this
14 before, one of the enhancements for productivity is when we
15 did sort of an analysis of the risk assessments that
16 were trying to do their work, a lot of their time is
17 spent on collecting the various documents that they
18 needed to even review to begin their work. And then
19 using the email client to sort of find what was next on
20 their list, you know, where is this particular document.
21 And so just by having a universal view into the data
22 will save time for the risk assessors. And then once
23 they've done their work, that entire package and
24 document flows from the next person to the next person,
25 and all of the information, including the prior

1 correspondence, notes to the file, any chats sort of
2 along the way with that document.

3 And then you can use your control management to
4 take a snapshot, a daily snapshot, it's called Omni
5 Channel View. So you get the same view on your mobile
6 device as you do on your computer, to show dashboards
7 that are personalized to you. Say, here's what's coming
8 up, here's what's pressing, here's what's sort of
9 highest priority, here's what's behind schedule.

10 And so you get different user stories from the
11 staff to the branch chief to the senior leader to
12 understand for the first time where the work is in the
13 workflow, rather than just using the email client and
14 multiple Excel spreadsheets that we have throughout the
15 building that are tracking the work. Which is, you
16 know, as you can see, we did a great job last year, we
17 continued to do the work we're doing, but I feel like
18 there's going to be some pains in efficiency as we
19 deploy this new digital transformation piece. I don't
20 see any disruption happening as a result of the
21 reorganization.

22 Our next step and our next division that we're
23 looking to launch in would be the Antimicrobials
24 Division, and, of course, because they are working so
25 hard on the COVID work, how we do that transition is

1 going to be of particular importance because we don't
2 want to lose any steam for all the great work that folks
3 are doing there, but we know that by deploying the
4 system we're actually going to have some efficiency
5 gains in processing, you know, the ability to move the
6 Antimicrobials Division to work.

7 And tomorrow we will talk about, you know, some
8 of the workload that's happening there. I mean, we had
9 six times the number of requests that come through that
10 office for information, and we've had about 40 percent
11 increase in the number of submissions from the same
12 period last year before the emergency.

13 So the great folks in the Antimicrobials
14 Division, part of that reorg includes getting some
15 additional resources to the Antimicrobials Division.

16 So to answer your question, no word on the move.
17 It is something that's going to happen, and the reorg
18 for digital transformation and IT should have no impact
19 on OPP's ability to perform under that. And, in fact,
20 from an OCSPP standpoint, I think some of the technology
21 pieces will be beneficial and we'll see how we can
22 consolidate those multiple systems that we have across
23 OPPT and OPP and there's a future sort of discussion for
24 the office.

25 So thank you for your question.

1 MR. BASU: Thank you very much, Ed.

2 MR. MESSINA: All right, we've got about five
3 minutes left before lunch. We can end early or we can
4 take some final questions and we'll go right into 2:00.
5 We'll have Shannon kick us off with an update of sort of
6 how the workgroups were formed, your input, the process
7 internally that we decided and sort of EPA's needs and
8 how that met up with some of the suggestions you guys
9 had. And then we'll go into talking about particular
10 workgroups with resistance management and the
11 agricultural emerging technologies workgroup, and then
12 we will take public comments and adjourn for the day.

13 And, Sheryl, were you able to say hi and use
14 your voice? I know you wanted to say a couple of
15 comments. I saw her in the chatbox. Thank you for
16 saying hi, but if you wanted to say anything.

17 (No response.)

18 MR. MESSINA: All right. Thank you, everyone.
19 Shannon, any last-minute things before we adjourn until
20 2:00?

21 MS. JEWELL: I don't think so. We don't have
22 any more questions in the chatbox, so I think let's go
23 ahead and start back at 2:00 Eastern.

24 MR. MESSINA: Okay. Thank you so much for your
25 time this morning and we will pick it up in one hour.

1 MS. JEWELL: Thanks, all. Thanks, Ed.

2 MR. MESSINA: Bye, everyone.

3 (Whereupon, a lunch recess was taken.)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 AFTERNOON SESSION

2 MS. JEWELL: -- workgroup recommendations, just
3 as an FYI, must be adopted by the full committee to be
4 recommended to the agency. Over its 25-year history --
5 and again, happy 25th birthday or anniversary to the
6 PPDC -- the committee has had many workgroups and they
7 have helped inform the committee's work, which has, in
8 turn, informed the work of OPP.

9 Worker groups in the past have considered issues
10 like 21st Century toxicology and non-animal testing
11 strategies, integrated pest management, comparative
12 safety statements to improve labels, pesticide spray
13 drift, and more.

14 So I wanted to highlight a couple of the most
15 recent of the PPDC workgroups. One of these was a
16 public health group and another was a pollinator
17 protection plan metrics workgroup. So many of you may
18 be familiar with pollinator protection plans, something
19 that also has groundwork laid in PPDC workgroups.

20 So first, the public health workgroup, the
21 charge of that group was to develop recommendations to
22 the PPDC to help OPP be able to respond more effectively
23 during emergencies, like public health emergencies,
24 particularly when it comes to interactions with other
25 agencies and communication materials about pesticides.

1 That workgroup delivered on its charge. At the May 2020
2 meeting, they reported out on an emergency preparedness
3 action plan that they had written.

4 So the pollinator protection plan metrics
5 workgroup had as its charge recommendations for how to
6 evaluate and measure the effectiveness of state and
7 tribal recognized pollinator protection plans at the
8 national level and a strategy to communicate the
9 effectiveness to the public.

10 In November of 2017, at the fall PPDC meeting,
11 the workgroup delivered on their charges. They
12 recommended to the full PPDC measures to evaluate the
13 effectiveness of pollinator protection plans. The
14 committee recommended a survey instrument to EPA.
15 And, by the way, survey results from 2019 are now
16 serving as lines of evidence in determining the efficacy
17 of pollinator protection plans.

18 So the workgroup proposals that we received this
19 time and the new groups. So a little bit of history.
20 The May 2020 PPDC meeting, which was the first of the
21 current membership, members discussed forming their
22 workgroups on the types of issues the committee wanted
23 to engage with the agency on. After the meeting, OPP
24 received six workgroup proposals from PPDC members.
25 OCSPP's leadership discussed these ideas in light of the

1 advice made from the office, and the availability of
2 resources required to coordinate the groups. And they
3 decided that of the six proposals, four would be formed.

4 The work workgroups will be on topics of:
5 Emerging agricultural technologies, emerging pathogens,
6 farmworker and clinician training, and resistance
7 management.

8 So we would like to take a minute to thank those
9 who brought proposals forward to OPP. Dr. Manojit Basu
10 of CropLife America proposed the emerging agricultural
11 technologies workgroup; Komal Jain of the American
12 Chemistry Council proposed the emerging pathogens
13 workgroup; Dr. David Shaw proposed a resistance
14 management workgroup; Mily Trevino-Sauceda with Alianza
15 Nacional de Campesinas proposed a farmworker and
16 clinician workgroup; thank you also to Amy Asmus,
17 representing the Weed Science Society, for proposing a
18 labor standardizations workgroup; and to Joe Grzywacz of
19 Florida State University for proposing a cross-cutting
20 issues workgroup.

21 The workgroups will have OPP staff and PPDC
22 members as cochairs. The following OPP officials will
23 serve as the OPP side cochairs. They will also chair
24 the workgroup sessions coming up in this meeting. So we
25 have Dr. Taja Blackburn, senior scientist in the

1 Antimicrobials Division serving as the chair for
2 emerging pathogens; Ed Messina, acting director of OPP,
3 will serve as the co-chair for the emerging agricultural
4 technologies workgroup; Carolyn Schroeder, she is chief
5 of the Certification and Worker Protection Branch, and
6 Steve Schaible, who is the office's PRIA coordinator,
7 will serve as cochairs for the farmworker and clinician
8 training workgroup; Bill Chism, senior biologist in the
9 Biological and Economic Analysis Division, and Alan
10 Reynolds, lead biologist from Biopesticides and
11 Pollution Prevention Division, are going to serve as
12 cochairs on the resistance management group.

13 The workgroup discussions during this PPDC
14 meeting will focus on ensuring that the charge questions
15 position these workgroups to make the most impactful
16 contributions possible to a specific question or
17 questions and in a measured time frame. The goal for
18 these groups is to provide final reports, products
19 and/or recommendations to the full PPDC at the fall 2021
20 meeting. The date of that meeting is still to be
21 determined.

22 So the way the sessions during this group are
23 going to run is the OPP chair is going to provide some
24 background on the topic and discuss current issues.
25 Then we will have a discussion of the draft charge

1 questions. This will be in light of the agency needs
2 and what is within the agency's authority. Then we will
3 hopefully have time to move into the talk of
4 administrative and other aspects, such as the frequency
5 of meetings, what will be needed to address the charge
6 or charges, the maximum number of participants for
7 effective decision making for a given topic, and whether
8 there are people outside of PPDC that group members
9 think we should recruit for expertise and group balance.

10 So for those interested in joining the
11 workgroups, we're requesting that they can please email
12 me. We will be putting my email address up
13 periodically. And also to a copy of the relative group
14 chair. We will provide email addresses of the chairs,
15 like I say, throughout the meeting. If you miss them,
16 just email me and I will forward the messages to the
17 chairs.

18 Members of the full PPDC are automatically
19 members of the workgroups, as long as space permits, up
20 to half the committee, but not more. So no more than 20
21 committee members in a workgroup. OPP will receive the
22 full list of other applicants and will look to put
23 together a balanced roster.

24 So to apply, if you're interested in the
25 workgroups, we're asking that you send an email to

1 myself, and I'll spell my email address again and put it
2 in the chat as well. That's jewell.shannon, J E W E L
3 L.S H A N N O N, @EPA.gov. My email address is also in
4 the Federal Register notice and on the PPDC site, so it
5 should be pretty easy to track down.

6 So what we're asking that you email to me and
7 the chairs is your name, your organization and position,
8 your contact information, your stakeholder point of
9 view, whether you're a grower, farmworker
10 representative, et cetera, and a brief statement of
11 interest.

12 So that's it for my presentation. I wonder if I
13 have covered everything for you all. Does anyone have
14 any questions?

15 Okay, so Mark asked, how do we make
16 recommendations for the workgroups, during those session
17 discussions or via email? Okay. So I think, Mark, that
18 you mean for the charge questions. If you want to #6 to
19 unmute yourself and unmute your line, I certainly would
20 invite your question.

21 So what you're going to see in the presentations
22 from the group chairs is that they will present a couple
23 of draft charge questions, and then the group discussion
24 will center around those charge questions. We want to
25 hear from members from around the table what they think

1 of those charge questions. We want to be sure that we
2 have a full understanding of what the stakeholders are
3 thinking about those various charge questions.

4 MR. MARK JOHNSON: This is Mark. So I'm
5 referring to non-PPDC members that we would want to
6 recommend for a particular workgroup.

7 MS. JEWELL: Okay, great. Yes. Please just
8 email those on to me. So --

9 MR. MESSINA: Hey, Shannon, this is Ed, too.

10 MS. JEWELL: Hi, Ed.

11 MR. MESSINA: Yeah, hi. I want to add, also, if
12 you look in the PPDC meeting materials for today, you
13 can see all of the presentations that have already been
14 loaded. And each of those presentations has the draft
15 charge questions that are being suggested. By no means
16 are those the final, but there are some draft charge
17 questions for each workgroup for you guys to ponder on
18 your own and then also to talk about during those
19 sessions.

20 MS. JEWELL: Great. Thank you for that, Ed.

21 So Mano had asked if the chatbox is noticeable
22 to all attendees, and that actually, it is not, Mano.
23 The primary function for this chatbox is to allow
24 members to enter their name so that we can call on them
25 for orderly discussions.

1 So while we are waiting for potential other
2 questions, I did think it was interesting how the PPDC
3 charter and workgroups dovetail, and I would like to
4 just take a minute to read a little bit of the PPDC
5 charter and how it relates to working groups. And this
6 has to do with the major duties of the PPDC.

7 The major duties of the PPDC are to: Provide
8 policy advice, information and recommendations on:
9 Developing practical protective approaches for
10 addressing pesticide regulatory policy; program
11 implementation; environmental, technical, economic and
12 other policy issues; and reviewing proposed
13 modifications to OPP's current policies and procedures,
14 including the technical and economic feasibility and any
15 proposed regulatory changes to the current process of
16 registering and reevaluating pesticides.

17 And as Ed said, for everyone, for attendees and
18 members, if you Google Pesticide Program Dialogue
19 Committee, you will be able to find the website and
20 materials for this meeting.

21 MR. BASU: Shannon, it's Mano Basu from CropLife
22 America. Thanks for answering the previous question. I
23 do have questions on PPDC workgroup, especially around,
24 you know, we discussed about PRIA timelines and PRIA
25 process improvements and everything and what the agency

1 has done in 2020. Is there an opportunity to
2 propose a new workgroup at this time, or is it too late
3 for this year? And if that's the case, is there an
4 opportunity to look into PRIA process improvement
5 opportunities, maybe, you know, some of the Lean
6 exercises or a joint group within the industry in one of
7 the existing workgroups?

8 MS. JEWELL: Thank you Mano.

9 MR. MESSINA: I can tackle that if you'd like,
10 Shannon.

11 MS. JEWELL: Yeah.

12 MR. MESSINA: I think we're open maybe as part
13 of the PRIA coalition committee to explore those issues,
14 Mano. I think with the PPDC and the diversity of all of
15 the members, picking that narrower topic for this group
16 might not be the best use of resources here, and given
17 that we do have the four, I would say, you know, let's
18 focus on these four, but I would not rule out the desire
19 to have a discussion about PRIA timelines and
20 efficiencies in the future with folks who are interested
21 or through a separate process.

22 MR. BASU: Thanks, Ed. That's helpful.

23 MS. JEWELL: Thanks, Manojit.

24 So we can just wait here and answer any other
25 questions that come up, and then otherwise, if anyone

1 wants to step away from the computer, we will be
2 starting the next session at 2:30. I see Christina is
3 writing.

4 So Christina's question, do PPDC members need to
5 officially join workgroups? No, there's no -- that's a
6 great question. So that choice is yours, certainly.
7 You might choose to join one or more groups; however,
8 there's no obligation to do so. And as a full PPDC
9 committee member, you will actually field the work of
10 the workgroups, because as I mentioned, all of the
11 products that the workgroups create, the reports,
12 recommendations, suggestions of any kind to the agency,
13 those will actually be brought to the full committee and
14 the full committee will deliver on those and it's the
15 full committee that decides actually whether to
16 recommend those products or recommendations, et cetera,
17 to the agency. So that choice is completely yours, if
18 you would like to refer others to be part of the working
19 groups.

20 So by when would we need suggestions from our
21 PPDC members? So what we're looking to do right now is
22 see how the talks go and what members think is the
23 optimal number of people to join the various working
24 groups, and depending on that, we will kind of let you
25 know. But I will say we do want to form the groups very

1 quickly because we are trying to answer the charges
2 within a very defined period of time.

3 As I mentioned, we will try to complete the
4 charges, if at all possible, by the fall 2021 meeting.
5 So that will happen some time around October of 2021.
6 So to make that happen, we will want to form the groups
7 quickly. So let's see what comes from the discussions
8 today, and depending on that, we'll go ahead and send
9 out to group members a date by which we will hope to
10 have the groups staffed up.

11 And I'll say, too, that someone may not
12 necessarily have to be a member of the group to be able
13 to provide feedback or some input to the group. This
14 brings up another point, and this has to do with
15 feedback that I've heard from members of other
16 workgroups, which is that what I've been told is that
17 people should really come with the ability of
18 contributing to the groups. That workgroups can be a
19 lot of work, and that people should come prepared to be
20 able to pitch in and do the work.

21 MR. MESSINA: So, Shannon, do you think we
22 should start our next session?

23 MS. JEWELL: I do, yes. I saw someone was
24 typing a question, but let me go ahead and I'm going to
25 bring up the next slide show.

1 So thank you for that question, Christina. I
2 think perhaps during discussions, members --

3 MR. MESSINA: Hey, Shannon, you might want to
4 repeat the question.

5 MS. JEWELL: Oh, I'm sorry, yes. Thank you so
6 much. So the question is, the estimated time commitment
7 based on previous workgroups. And that seems to vary
8 based on group. So hopefully some members who have been
9 on working groups in the past can speak to that during
10 the discussions. Because I couldn't really say, and I
11 think that that will also come out of the conversations
12 that we have about the groups and the charges that are
13 chosen. Thank you for the question.

14 And so with that, if -- Ed?

15 MR. MESSINA: Yes, Shannon, did you answer the
16 deadline question about when we were expecting to
17 receive information for workgroup numbers? Did we give
18 folks a date?

19 MS. JEWELL: I didn't give a date. I wanted to
20 see what came out of the administrative kinds of
21 conversations, but do you want to go ahead and set a
22 date, Ed? Do you think we should go ahead and set a
23 date for maybe two to three weeks?

24 MR. MESSINA: Yeah, I think certainly what I
25 would say is, you know, try to provide names as soon as

1 possible, and we can kind of get the logistics and the
2 trainings and team pages set up. And then, you know, if
3 folks want to join and it's taking some time, I would
4 say by the end of November, we could make that the
5 cutoff date for accepting new members, but certainly if
6 the workgroups, you know, are saying, oh, it's great to
7 have this person and then it's taking some time to get
8 them, you could kind of consider that, but I would like
9 to get at least the fully formed workgroups in place,
10 you know, just before Thanksgiving and give a final date
11 of the end of November for forming the workgroups, if
12 that's okay.

13 MS. JEWELL: Great. Great. And also I'll send
14 an email to the members about this as well.

15 So if Bill Chism and Alan are on the line, we
16 can go ahead and start the next session.

17 MR. CHISM: Hi, Shannon, this is Bill Chism.
18 Can you hear me?

19 MS. JEWELL: Hi there. Yep, we can hear you,
20 Bill.

21 MR. CHISM: Oh, technology is wonderful.

22 MR. REYNOLDS: Hi, this is Alan Reynolds, I'm
23 also here as well.

24 MS. JEWELL: Hi there. Great. So just as a
25 reminder, Bill and Alan, we'll hand it off to you to go

1 ahead and advance the slides, and then members will
2 enter their names in the presenter chat to let you know
3 that they want to make comments and have questions,
4 okay?

5 MR. CHISM: Great. Well, this is Bill Chism and
6 I'm going to start off for the first couple of slides
7 and then hand it off to Alan.

8 I'm a senior biologist in BEAD and Alan is a
9 lead biologist in the Biopesticides and Pollution
10 Prevention Division. The workgroup goal is to develop
11 recommendations to the EPA on how the agency can assist
12 stakeholders in addressing the challenges of
13 conventional pesticide resistance.

14 We're going to start at 2:30, we're going to go
15 through some background between Alan and myself and then
16 we will read the draft charge questions, then have some
17 discussion about those charge questions with the PPDC
18 members, and then go through some of the logistics and
19 query on member interest in participating.

20 Why is the EPA interested in encouraging
21 resistance management? The EPA would like to enhance
22 pesticide stewardship to sustain effectiveness of these
23 pest management tools, while also ensuring no
24 unreasonable adverse effects to human health or the
25 environment.

1 Effective resistance management should result in
2 lower overall pesticide loading in the environment by
3 reducing the need for repeated pesticide treatment. The
4 program itself has a couple of additional personal
5 interests, considerable agency resources are put into
6 review and approval of these programs -- of these tools,
7 and we would like to help preserve the safe, effective
8 pest management options for growers.

9 The regulatory context for this. Pardon me.
10 For all agricultural pesticides, except the plant
11 incorporated products, the PIPs, EPA takes a voluntary
12 approach in implementing a more consistent effort aimed
13 at helping pesticide users slow or avoid the development
14 of pesticide resistance.

15 We use pesticide registration notices, or PRNs,
16 to provide nonbinding guidance to pesticide registrants
17 and EPA personnel regarding pesticide registration
18 activities and decisions.

19 In 2017, the EPA released two PRNs for
20 conventional pesticides, trying to enhance resistance
21 management. The first PRN, 2017-1, looks at resistance
22 management labeling. This looks at labeling for
23 insecticides, fungicides, herbicides and nematicides,
24 and it updates an earlier existing PRN from 2001 and
25 makes recommendations for resistance management

1 information on pesticide labels.

2 So, for example, we've had really good luck
3 getting all the registrants to start putting mode of
4 actions on labels. We've gotten them to remind people
5 that they should use resistance management plans. We've
6 gotten information on the label such as you should scout
7 before and after application, before so you make sure
8 you've got the correct test and after to make sure it
9 was controlled.

10 PRN 2017-12 focused specifically on herbicide
11 resistance. We had gotten a lot of feedback from groups
12 saying herbicides were having a number of challenges
13 with resistant leads, so we thought we would look at
14 herbicides first and see if we could give some
15 additional guidance and see if that would be helpful.
16 And in both cases, we've included information on labels
17 about resistance management, mode of action and that
18 sort of thing.

19 In addition, for herbicides, we've also
20 attempted to include management information or best
21 management practices on labels to help the users prepare
22 for resistance management. And both of these PRNs are
23 used to guide resistance management label development in
24 the registration and reregistration review work.

25 And now I'd like to turn it over to Alan.

1 MR. REYNOLDS: Thanks, Bill.

2 So I'm going to present an overview of how EPA
3 has implemented resistance management for BT crops, and
4 in particular, what we're doing for BT crops can serve
5 as a model for resistance management for other
6 pesticides. So, first of all, the abbreviation BT, that
7 stands for bacillus thuringiensis. It's a bacterium
8 that's been widely used for pest control and has also
9 been -- or some of the Cry toxins produced by BT have
10 been engineered into various crops for infectious insect
11 control.

12 So this will be a simplified overview. I think
13 you could probably teach a semester-long course on BT
14 crops insect resistance management, but I'm going to try
15 to do this in 10 slides or so, so it's going to be a
16 very condensed version of what we do.

17 So first off, the goal of IRM for BT crops is to
18 keep these tools as effective for as long as possible.
19 BT crops have many benefits for growers, for human
20 health, the environment, from reduced conventional
21 pesticide use to increased crop yields.

22 In addition, the agency has considered that
23 resistance to PIPs could be an unreasonable adverse
24 effect under FIFRA. And I should also point out that
25 the PPDC group had an important role in establishing the

1 insect resistance management paradigm for BT crops.
2 There was a meeting held in the mid-1990s, I think it
3 was one of the first PPDC meetings, that established
4 this concept of public good of BT.

5 So, in other words, BT, as a very low risk
6 pesticide with a specific insecticidal activities, has
7 such a high value that pest susceptibility to BT is in
8 the public good.

9 Okay, so some background on OPP's role with
10 genetically engineered plants. So when a plant is
11 genetically engineered to produce a pesticidal
12 substance, EPA refers to it as a plant incorporated
13 protectant, or PIP, and PIPs are defined specifically in
14 the Code of Federal Regulations as a pesticidal
15 substance that is intended to be produced and used in a
16 living plant or in the produce thereof, and genetic
17 material necessary for production of such a pesticidal
18 substance.

19 So to date, EPA has registered well over 100 PIP
20 products. Actually I think the number is closer to 150
21 now. The majority of these are bacillus thuringiensis
22 based, traits that have been engineered into corn and
23 cotton events.

24 Okay, so what does EPA do for BT PIP resistance
25 management? The first thing to consider is that the

1 program is mandatory, as Bill indicated earlier. It's
2 implemented to the terms of registration for each of the
3 BT crop -- for each registered BT crop product. The
4 primary mitigation strategy we use in BT IRM has been
5 refuges, and I've illustrated this concept on the slide
6 here on the right. And basically what the refuge is
7 designed to do is produce a lot of insects. And these
8 insects are going to be, since they're not exposed to
9 BT, they're presumed to be susceptible to the BT trait.
10 That contrasts with the BT fields, that will be planted,
11 you know, with this refuge, there is the expectation
12 that there will be very few surviving insects coming out
13 of those BT fields, and those survivors that do come out
14 are most likely going to be resistant to the BT trait.

15 So the idea is that the refuge produces many
16 more susceptible moths. They're represented by that SS
17 genotype on the slide there. They will then be
18 available to mate with any resistant individuals
19 designated by that RR genotype, resulting in what we
20 call a heterozygote that has one resistant allele and one
21 susceptible allele. But if you had a high dose of the BT
22 trait, or what we call a high dose, that high dose will
23 kill that heterozygous genotype. So all of the
24 offspring coming from this process will not survive. So
25 the only thing that can truly survive a high dose trait

1 would be a truly resistant RR insect.

2 We also conduct resistance monitoring as part of
3 the resistance management strategy. I'm going to talk
4 about that in a separate slide in a little bit here.
5 And in addition, we've also more recently utilized
6 insect -- or, sorry, integrated pest management as a
7 resistance management tool. And I'm going to talk about
8 that in a little bit more detail in the next slide.

9 Okay, so in addition to refuge, EPA has also
10 encouraged the nexus of IPM and IRM as a means to reduce
11 selection pressure for resistance, and also as a
12 response to resistant populations, should they arise.
13 And we first started working or integrating IPM into our
14 IRM strategies in 2016 with BT corn products targeting
15 corn rootworm.

16 As part of our revised training work for corn
17 rootworm resistance management, EPA required registrants
18 to develop an IPM stewardship plan. So under the
19 stewardship plan, registrants encouraged growers to
20 voluntarily adopt best management processes, such as
21 crop rotation, the use of pyramided products, and
22 pyramids refers to BT products that contain multiple PIP
23 traits targeting the same insect.

24 Also, I've used some alternate modes of action,
25 or just conventional regular non-BT corn. So

1 registrants are under the stewardship strategy are also
2 limiting the use of single-trait BT PIP products. These
3 single trait products have a higher risk of resistance
4 than the pyramided varieties expressing multiple traits.
5 Also for corn rootworm, EPA has discouraged the use of
6 soil insecticides with the BT corn, since they can
7 exacerbate resistance risks.

8 Okay, so how does EPA implement IRM for BT PIPs?
9 It's important, and a really important component of
10 that, as I mentioned previously, it is a mandatory
11 program, but an important component of that is both EPA
12 and industry have the shared goal of preserving the
13 durability of these PIPs. So although the IRM program
14 is mandatory, this shared vision is really critical for
15 the success of the program.

16 And that's because the registrants are the ones
17 responsible for implementing the components of
18 resistance management, and that's done through the terms
19 of registration. You know, therefore the companies are
20 the ones who are going to be implementing these refuge
21 requirements down at the grower level. EPA still
22 maintains oversight; however, the companies are the ones
23 who are directly implementing the resistance management
24 strategy. And one of the ways we do is we get a number
25 of annual reports from registrants and these cover items

1 like refuge compliance, resistance monitoring, IPM
2 stewardship activities and some of the other components
3 of the IRM strategy.

4 Okay. Since there are mandatory aspects of the
5 IRM strategy, EPA has also focused on compliance and
6 education initiatives. In terms of compliance, there's
7 what we call a compliance assurance plan that is part of
8 the terms of registration. And this compliance plan
9 lays out a step-wise process for assessing refuge
10 compliance, and responding to noncompliant growers. And
11 just like the refuge itself, this is implemented by the
12 registrants at the grower level.

13 Education is also an important component. In
14 fact, you know, it's a major component, and I can't, you
15 know, state that enough. Since generally I think our
16 experience has been that growers who are informed and
17 are aware of their requirements and understand
18 resistance risks are generally likely to comply with the
19 refuge requirement. And as I mentioned earlier, EPA
20 receives annual reports on refuge compliance.

21 Okay, another aspect of our PIPs IRM strategy
22 has been resistance monitoring, and similar to refuge
23 implementation, the registrants are responsible for
24 conducting the resistance monitoring plan. So we
25 require resistance monitoring for the major targets of

1 each pest, or sorry, each PIP. And monitoring has
2 been done at two levels. So the first is an attempt to
3 proactively detect shifts in susceptibility, and this is
4 done by sampling insects throughout major adoption
5 regions for the BT crop. And then testing those insects
6 in the lab to try to tease out shifts in susceptibility
7 to see if they're becoming less susceptible to the BT
8 traits.

9 The second aspect of that, of monitoring, is to
10 investigate reports of unexpected damage in the field.
11 So these would be cases where a grower has a field of a
12 BT crop and observes unexpected damage to that field, or
13 damage that, you know, was left with a profile for that
14 BT crop. They then report that case to the registrant
15 who then conducts the investigation, which can include
16 insect sampling and bioassays to determine if there has,
17 in fact, been a shift in susceptibility or possibly
18 resistance developing.

19 Okay, so EPA's IRM plans have largely been
20 successful in growing resistance in some cases, but
21 there have been some instances of the documented
22 resistance to BT PIPs. So, yeah, even with the best
23 resistance management strategies, the bugs may still
24 preserve or persevere in the end. But EPA does have a
25 mitigation strategy in place to try to limit or contain

1 resistant populations, with a minimum goal of preserving
2 PIP durability in areas where it is still effective.

3 So measures that are part of this remedial
4 action plan include best management practices such as
5 alternate control measures for immediate and subsequent
6 growing seasons, the use of crop rotation or alternate
7 modes of action to try to manage the -- you know, the
8 potentially resistant population in the affected field.
9 Certainly increased resistance monitoring, as part of
10 that we want to, you know, certainly understand that the
11 population is spreading or ruling out from what was
12 initially detected.

13 Another critical aspect is communication.
14 Certainly if there is resistance we want the important
15 stakeholders to be aware of that and to be notified. So
16 those would include growers or consultants, seed
17 distributors, university cooperators, extension folks or
18 federal and state authorities.

19 Okay, so how have we done with our BT PIP IRM
20 strategy over the years? So as I mentioned, I think so
21 far it's been fairly successful. For a number of our
22 key target pests, we have not seen any significant cases
23 of resistance in the U.S. These include insects like
24 pink bollworm, which was recently declared eradicated
25 from the southwestern U.S. by USDA. Also European

1 cornborer, a major pest of corn in the corn belt.
2 Tobacco budworm, a thing that's been a pest to cotton.
3 And the one common factor for these successes has been
4 the availability of high-dose traits. So as I had shown
5 on the slide with refuge, having that high dose to
6 eliminate that heterozygous genotype is really a key
7 aspect of being able to successfully delay resistance.

8 So for these insects, we've had that high dose.
9 In other cases, though, we have seen reports of
10 resistance in recent years. Certainly with corn
11 rootworm, we've seen a number of documented cases of
12 resistance. More recently with cotton bollworm and fall
13 armyworm, in cotton-producing areas in the south, we've
14 seen increased cases of resistance there. And the
15 common factor here is really the lack of high dose.

16 So for these insects, we don't have that
17 high-dose expression for BT traits, and what that means
18 is that heterozygous genotype will actually not be
19 controlled by the trait, and that can lead to the
20 relatively rapid adoption of resistance.

21 Okay. So in summary, BT PIPs have a lot of
22 positive benefits, including pesticide use reduction and
23 yield benefits for growers. Certainly the traits are
24 very popular with growers in this industry, and the
25 agency, as a low-risk pesticide. And we see IRM as

1 really being key to preserve those benefits.

2 You know, another take-home here is that EPA and
3 industry have worked together collaboratively on
4 resistance management. In my experience, this has been
5 a really big part of the success. You know,
6 particularly for challenging insects like corn rootworm,
7 which have a long history of overcoming the tools
8 designed to control it, you know, working together with
9 industry is I think really the only way we're going to
10 be successful in managing an insect like that.

11 So this has been a very brief summary of BT PIPs
12 IRM. I can certainly answer questions at the end of the
13 presentation, but for now, I'm going to give control
14 back to Bill to discuss the workshop goals and the
15 charge questions.

16 MR. CHISM: Thank you, Alan. I'm getting a
17 little ahead of myself. First, I just want to say that
18 I'm always pleasantly surprised how well the resistance
19 management program has worked for the PIPs, and I'm
20 hoping with some input from the groups we can improve
21 our chances of controlling resistant pests in the
22 conventional pesticides.

23 So the workgroup goal, once again, is to develop
24 recommendations to the EPA on how the agency can assist
25 stakeholders in addressing the challenges of

1 conventional pesticide resistance. And if I may, I was
2 just going to go through the charge questions once and
3 we can back up to them as needed for discussion, but I'd
4 like to just go through them once.

5 One, are there current EPA policies that
6 positively or negatively affect pesticide resistance
7 management -- sorry, conventional pesticide resistance
8 management. What policies could be reworked to more
9 positively address resistance management?

10 Two, are there current industry programs that
11 positively or negatively affect conventional pesticide
12 resistance management. Would EPA have a role in those
13 programs and what might that be to positively influence
14 industry?

15 Three, are there incentives to the registrant or
16 pesticide users that could be considered related to
17 conventional pesticide regulations that might positively
18 affect resistance management? Are there other ways in
19 which the agency can work with stakeholders, growers,
20 commodity groups, academics, to cooperatively address
21 resistance management?

22 And then, four, are there elements from EPA's BT
23 PIP resistance management program that could be used in
24 conventional pesticide resistance management?

25 So that's the end of the presentation, and I

1 guess I'd like to open it up for questions and comments
2 if I may.

3 MS. JEWELL: Thank you, Bill. So are you able
4 to see the presenter chat, Bill? I just want to make
5 sure.

6 MR. CHISM: Yes, I can, thank you.

7 MS. JEWELL: Okay, great. So I see folks are
8 beginning to type away in there. Charlotte Sanson has a
9 question. Do you want to just unmute, Charlotte?

10 MS. SANSON: Yes, hi, thanks. Thanks, Shannon.
11 Yeah, thanks for the presentation. And perhaps this is
12 something that can be added to the charge questions. On
13 slide number 6, I believe Bill had mentioned that
14 guidance for herbicides was addressed first, as we've
15 seen with PR notice 2017-2. So I expect this means that
16 similar guidance would be drafted for pesticides and
17 insecticides. So is that something that a workgroup
18 would also attempt to address, or would that be outside
19 the scope?

20 MR. CHISM: This is Bill. It would be a lovely
21 suggestion and something that we would probably carry
22 out ourselves. The initial intent with the herbicides
23 was to give it a few years and see if we felt like we
24 were helping the matter, and then, too, seeing if we
25 were picking the best target for trying to write up a PR

1 notice. So it may be time to consider the other types
2 of pesticides as well.

3 MS. SANSON: Okay, that's fine. So nothing has
4 been done yet in that regard, I assume?

5 MR. CHISM: No.

6 MS. SANSON: Okay. Thanks.

7 MR. REYNOLDS: Hi, this is Alan. I would also
8 add that I think that idea would fit very nicely into
9 charge question one, where we're considering agency
10 policies that could, you know, benefit resistance
11 management. Certainly, you know, we have the two PR
12 notices, but, you know, the addition of additional
13 guidance or, you know, other pesticide types might
14 certainly be something we could pursue.

15 MS. SANSON: Okay, thank you.

16 MS. JEWELL: Did Damon have a comment?

17 MR. RAEBE: Yes, thanks, Shannon. Can you hear
18 me, Shannon?

19 MS. JEWELL: Yes, yes, we can hear you.

20 MR. RAEBE: So I think these charge questions
21 are written really well, and my intentions are to be
22 volunteering for a different workgroup, but I think in
23 the interest of being realistic of the time
24 requirements, I couldn't volunteer for two of them.

25 I would just like to make sure that this

1 particular workgroup have a particular focus on making
2 sure that all available active ingredients are available
3 to be aerially treated. And we have some examples,
4 particularly in weed control, where we have a lot of
5 weed resistance issues in many of these products are not
6 able to be treated using aerial application equipment,
7 which actually destroys weather windows that are ideal
8 for safe application due to just equipment restraints.

9 We funnel certain active ingredients away from
10 aerial application and then to only ground application
11 and we combine that with wet soil conditions when we
12 have ideal wind conditions for application, as well as
13 lack of inversion, and nothing is getting done. Which
14 then forces those applications to be done by ground when
15 the soil dries out when maybe we don't have the other
16 ideal weather conditions, using the dicamba products as
17 an example.

18 The other issue we run into is the spray drift
19 risk assessment is not accounting for all of the
20 existing very simple technologies that have been used
21 for many, many years with larger droplet sizes, reduced
22 effective bloom lengths, among other techniques and
23 equipment, and those aren't being considered during
24 registration, the spray drift risk assessment process.
25 So we don't end up with an aerial label, which again,

1 falls right into this resistant management problem that
2 we're dealing with.

3 So I just want to make sure this workgroup pays
4 very particular attention to making sure that if an
5 active ingredient is sprayed by ground, it can also be
6 sprayed by air. Obviously there needs to be more
7 complicated label language, which when there are other risk
8 factors, but aerial applicators are very equipped and
9 very used to following specific label instructions so
10 that these things can happen safely.

11 MS. BROWN: This is Jasmine Brown. Can you hear
12 me?

13 MS. JEWELL: Hi, Jasmine. We can hear you.
14 Hello? Jasmine?

15 MS. BROWN: Yeah, sorry. My only comment is I
16 want to make sure our workgroups are communicating with
17 each other. So this workgroup really needs to
18 communicate with the pollinator workgroup, for instance,
19 on developing these PRs. As an inspector in the field,
20 when imadacloprid was having resistance issues or PR
21 labeling changes, one of those changes was that it could
22 only be applied once a year, and a lot of the growers
23 felt that the product could still be applied more than
24 once a year, but the actual issue was that it shouldn't
25 be applied after June because that's -- prior to June

1 when everything is blooming was really when it was
2 having an impact on pollinators, for instance. But the
3 label didn't say that, it just literally said once a
4 year.

5 So I think just having the two workgroups
6 communicate a little bit better for resistance, or
7 whatever the issue is, would be ideal.

8 MS. JEWELL: All right, thank you, Jasmine.

9 I see Carol Black has a comment. Carol, you may
10 be muted. Hit #6 on your phone to unmute.

11 MS. BLACK: That's working now. So I just
12 posted in the chat -- I just posted in the chat the
13 pesticide environmental stewardship website that was
14 recently updated with some resistance management
15 outreach, and some of the challenges. And so I think
16 for this workgroup, that would be a good resource
17 when -- you know, one of the major components that Bill
18 and Alan mentioned was, you know, engaging the
19 stakeholders. So just passing that along.

20 MS. JEWELL: Thank you, Carol.

21 Bill, would you like me to read the question
22 here from Mark Johnson that's in the chat?

23 MR. CHISM: Sure. Or I can.

24 MS. JEWELL: Okay. Go ahead.

25 MR. CHISM: The question is, are we going to

1 engage the resistance action committees for the
2 insecticides, fungicides, herbicides, to address the
3 charges? They were one of the groups we thought might
4 be an outside member of the workgroup. Yes, definitely.

5 MS. JEWELL: And, Mano, would you like to make
6 your comment?

7 MR. BASU: Yes, thanks, Shannon.

8 Just a quick follow up from what Carol mentioned
9 about the pesticide environmental stewardship. There
10 are several other resources, some IPM programs from
11 academic universities, extension and several
12 registrants. So how do we make sure that when this
13 workgroup meets, all the information, especially around
14 IPM programs which have been successful, is available?
15 So maybe something for the workgroup to think as they
16 have their kickoff meeting.

17 MS. JEWELL: Thank you.

18 So, Bill, Mark is asking, are you considering
19 additional resistance management issues for specialty
20 crops such as turf grass?

21 MR. CHISM: Yeah, that's an excellent question.
22 In the past, we haven't spent a lot of time on turf, but
23 they are definitely a huge marketplace, and there were
24 some considerations. So maybe if he's involved, he can
25 help us to make sure that we figure out a way to address

1 their needs, because they are a bit different.

2 MS. JEWELL: Thank you. It looks like Jasmine
3 has a suggestion that we recruit Carol Black to the
4 group. And a question from Cathy, what is the process
5 to add new members to a workgroup? Would you like to
6 take that one, Bill? Would you like to answer that one,
7 Bill?

8 MR. CHISM: Well, I was hoping -- that's an
9 excellent question. I'm hoping the people can send
10 either me or Alan some suggestions for additional
11 members that might be interested in joining this, and we
12 can contact them and see if they would like to
13 participate.

14 MS. JEWELL: Great, thank you. And for all of
15 the groups, what we're asking, for those who are
16 interested, or if there is someone that you would like
17 to refer to the group, to please go ahead and email
18 myself and then I will stick both Bill Chism's email address
19 and Alan Reynolds' email address in the chat here, too,
20 so that both can reach out to you guys as well.

21 And so let's see, Mark Johnson has said that he
22 will be submitting some professional scientists
23 recommendations. So Jasmine answered the question that
24 an email was required to us, and that's correct.

25 So Daniel Markowski has asked, what has been

1 done to address resistance in the public health sector?
2 In mosquito control, we have very limited number of
3 active ingredients.

4 So, Bill and Alan?

5 MR. REYNOLDS: Bill, I don't know whether you
6 had any other information to share. We have not done
7 anything specifically in the public health sector, other
8 than, you know, the PR notices that have been issued,
9 but this certainly points to a very good -- you know, a
10 very good consideration here, and that's when we --
11 particularly when we do have limited numbers of AIs, it
12 does point to the need to try to preserve the durability
13 of those active ingredients, particularly in something
14 like the public health arena where those are very
15 valuable products. So that's a very good point to
16 consider.

17 MR. CHISM: Yeah, this is Bill. I am not aware
18 of what's been going on with the public health tests,
19 but I think it's an excellent point that we may need to
20 figure out a way to make some of these very specific
21 uses and high-value uses, make sure they get included in
22 our recommendations and discussions.

23 MS. JEWELL: Hi, Bill and Alan, can you hear me?

24 MR. CHISM: Yeah, I can hear you fine. I think
25 we're seeing some comments that phones cut out.

1 MS. JEWELL: Right, yeah, I wonder. I seem to
2 have somehow muted myself, so maybe that was an accident
3 on my part.

4 MR. CHISM: Oh, I guess we're back.

5 MS. JEWELL: Can you hear me? This is Shannon.

6 MS. THERIAULT: Yes, Shannon, this is Carla, I
7 can hear you.

8 MS. JEWELL: Okay, great. Great. Okay. Yeah,
9 so it looks like lots of folks are typing in that they
10 can't hear, but I'm hoping that we have that resolved.
11 Can everybody hear now? Okay, so it looks like Gina and
12 Dominic and Doug said yes, so folks can hear again.
13 Great.

14 MR. RAEBE: Yeah, Shannon, this is Damon. Yeah,
15 there was a long period of silence, but it seems like
16 everybody's back. Thank you, Shannon.

17 MS. JEWELL: Thank you so much.

18 Okay. So, Bill and Alan, would you like to talk
19 about the other aspects of the group? Do either of you
20 have ideas for what might be the optimal number of
21 people in a group like this or decision making and to
22 fulfill this charge?

23 MR. REYNOLDS: It's a great question, Shannon.
24 Unfortunately, I'm not -- this is my first PPDC
25 workgroup, so I'm not familiar with the typical number

1 of folks that are on a workgroup. You know, I like to
2 think the charge questions we're asking here are fairly
3 broad and we think that resistance management for, you
4 know, conventional pesticides or -- conventional
5 pesticides, that's a huge group of vastly converse
6 chemistries targeting, you know, all different things,
7 you know, pests.

8 So given how broad this is, you know, it might
9 help to have, you know, a good representation of
10 perspectives from the group there. So, Shannon, I don't
11 know, is 20 too many?

12 MS. JEWELL: Twenty is a number I know that has
13 been had on other workgroups and has seemed effective.
14 So I wonder if anyone in the group who has served on
15 PPDC working groups before, too, might like to chime in
16 because I think that there are some members of the
17 current PPDC that may in the past have served on
18 workgroups. And so that sounds like a good idea.

19 I know that in the past, on the public health
20 working group, they had an approximate number of 20 that
21 they sought and then at points they had another person
22 or two because they recruited expertise for the group.
23 So those are a couple of possibilities.

24 Let's just give it a minute to see if anyone
25 else has ideas about the optimal number for the group or

1 other questions.

2 MR. BASU: Shannon, a quick clarification
3 question. If we go for 20, ten of those have to be PPDC
4 members. Is that correct?

5 MS. JEWELL: No, Mano. No, it's not, Mano. It
6 could be a variable number. I believe there needs to be
7 at least one member of the PPDC, but there doesn't have
8 to be a large number from the PPDC.

9 MR. BASU: I misunderstood the 50 percent
10 somewhere, so that's fine. Thank you.

11 MS. JEWELL: Oh, sure. So no more than 50
12 percent, no more than half the PPDC.

13 MR. BASU: I see, sure, thank you.

14 MS. JEWELL: Okay. Well, similar question, and
15 that is, Bill, Alan, do you guys have a sense as to how
16 often you think the group might meet?

17 MR. REYNOLDS: I was thinking about this a
18 little bit, and again, I don't have a whole lot of
19 experience with PPDC workgroups, but given the charge
20 here, that is fairly broad. I was thinking maybe once a
21 month, but I don't know if that's too much of a burden
22 for committee members.

23 MS. JEWELL: Okay. Okay. Well, please, members
24 of the committee, chime in with your thoughts about
25 these things. And I see Mark Johnson has said, perhaps

1 representatives could participate and meet separately
2 with their peers within their industry in order to best
3 expand the reach of this workgroup.

4 MR. REYNOLDS: You know, I think that makes
5 sense. Given, you know, the diversity of, you know,
6 what's out there and user groups and I think, it might
7 make sense to have these kind of separately operating
8 sort of subgroups working to expand the reach.

9 MS. JEWELL: What are your thoughts on various
10 expertise or have you thought about that kind of thing
11 at this point, Alan, or Bill?

12 MR. REYNOLDS: Yeah. So that's a great
13 question. So, you know, in my experience on the BT
14 side, you know, it took many, many years to develop and
15 we're still working to refine it. And the process that
16 we used, you know, for that was primarily the FIFRA
17 scientific advisory panel that gave us, you know, very
18 specific scientific feedback.

19 I see this as not -- you know, not really an SAT
20 here, so I don't know that we need to go through
21 exhaustive discussions about, you know, the science of
22 resistance and, you know, those types of things, but I
23 think our charge here and our goals are more on the
24 policy side. So I think particularly folks who have
25 more experience there as far as like labeling, you know,

1 with pesticide use issues. You know, we heard one
2 perspective on, you know, herbicides and the need for
3 application. You know, so I think folks who have
4 experience more along those lines I think would be
5 probably best suited to address this charge.

6 Bill, if you have other thoughts, please chime
7 in.

8 MR. CHISM: Yeah, one of the things I thought
9 might be helpful is people who have had some sort of
10 experience seeing how these resistance programs worked,
11 you know, the things that worked versus the things that
12 don't work. Because you've said with the BT crops, some
13 of the things worked really well and other things didn't
14 work so well. So maybe if we could have one or two
15 individuals that have had some experience with things
16 that don't work and communications plans that didn't
17 work or did work really well would be very helpful. But
18 you're right, I don't think we're discussing the impacts
19 of resistance plans, it's more the implementation and
20 how effective can they be and where the agency should
21 attempt to help things.

22 MS. JEWELL: Did Charlotte Sanson have a
23 question?

24 MS. SANSON: Yeah, hi, Shannon, thanks.

25 Just brainstorming on this, I think it might be

1 helpful, when somebody's name is put forward as a
2 candidate to participate in the workgroup, that there's
3 just a little bit of background or just a few sentences
4 on what value that person will bring to the discussion.
5 Because it sounds like you're looking for, you know, the
6 best way forward is to get a cross-section of different
7 perspectives.

8 So it might just help -- I don't want to make it
9 too bureaucratic, but, you know, a very simple form or
10 just a simple format so there's some consistency in
11 terms of what's provided on the individuals so, you
12 know, it's understood why it's important for them to be
13 part of the committee, or the workgroup.

14 MS. JEWELL: Thank you for that.

15 Okay, thank you. Amy Asmus suggested that we
16 may have lost sound again. Actually, we're not having
17 any questions right now, so maybe those of us at OPP on
18 this session can stay on the line and then otherwise
19 we'll take a little bit of a break until the start of
20 the next session. So that will be 3:45.

21 Bill and Alan, thank you so much for talking to
22 the PPDC today. I don't want you to have to wait on the
23 line if there aren't questions. I know that you're both
24 very busy. So we will be back in touch about getting
25 the workgroup formed and we really thank you for your

1 time today.

2 MR. REYNOLDS: That sounds great. Thanks a lot.

3 We really appreciate it.

4 MR. CHISM: Great. Thank you very much for

5 being here.

6 MS. JEWELL: Great. Have a good afternoon,

7 bye-bye.

8 MR. REYNOLDS: Okay, you, too, bye.

9 MR. CHISM: Bye.

10 MS. JEWELL: And we will resume at 3:45.

11 (Whereupon, there was a recess in the

12 proceedings.)

13 MR. MESSINA: Okay. Welcome back, everyone. Am

14 I coming in?

15 MS. JEWELL: Yes, you are.

16 MR. MESSINA: Great. All right, 3:45, we'll get

17 started. Shannon, do we have any requests for the

18 public meeting after this session?

19 MS. JEWELL: We do not. We do not.

20 MR. MESSINA: Okay. All right, so just giving

21 folks an update. We may end the day early, but if you

22 are interested in making a public comment, please send

23 your email to Shannon and we will get you on the

24 schedule.

25 All right, so emerging technologies. Thank you

1 to Manojit Basu for suggesting this as a workgroup for
2 PPDC. And it's an issue that is sort of near and dear
3 to my heart. When I was the deputy, this was sort of an
4 area of focus for me as well. And I did a
5 presentation -- actually, I've done a number of
6 presentations on this at various PPDCs, but at the last
7 PPDC, I did a presentation and I used this one. And so
8 I'm going to go through quickly just as a refresher, so
9 that we have time to focus on the charge questions and
10 workgroup members and building on from there.

11 So basically the premise of this workgroup and
12 the issues that we deal with in OPP are how we use
13 pesticides to help grow our food tomorrow will look very
14 different from how we use them today. And then what
15 policy and label changes are necessary as a result.

16 So as a regulatory body, an agency, we want to
17 make sure that we are addressing new technologies and
18 looking at their human health impact, their
19 environmental impact, and their efficacy, and we want to
20 make sure that these new tools are made available for
21 members and users of these technologies.

22 So we don't want to stand in the way of them and
23 we know that they tend to be disruptive and they can
24 disrupt entire industries. So how do we stay ahead of
25 these technologies, which are beneficial, but also

1 present regulatory challenges for us because they are
2 not something that were contemplated at the time that we
3 published our existing regulations.

4 And so there are a number of examples of these
5 technologies that I will quickly go through, and then
6 the question is, you know, how as regulators can we stay
7 ahead of the technology curve so that we are not a
8 hindrance to their development while also ensuring their
9 safety.

10 So some of these examples that we're seeing
11 coming up in the agricultural space include precision
12 farming, robotics, use of artificial intelligence and
13 predictive analytics, advanced sensor technology that
14 provide realtime information about crop health and pest
15 pressures, hyperspectral imaging, which can provide
16 realtime information about pest pressures and water
17 moisture, you know, moisture in the soil, growth rates,
18 and the ability to feed that information into artificial
19 intelligence predicted analytics and algorithms to
20 basically define the correct ratio of nutrients and
21 pesticides, depending on those, you know, real-time
22 analysis of pest pressures. So really sort of exciting
23 things that will increase the efficiencies of
24 agriculture as we know it today.

25 The Internet of things, so if you've got smart

1 homes and, you know, you're using these technologies. I
2 think one of the interesting tidbits that I've sort of
3 come to -- has come to me in my research in this area
4 and paying attention to sort of these emerging
5 technologies is we have already surpassed sort of the
6 humans that are using the Internet. So when you think
7 about the Internet as a highway, and how you do your,
8 you know, Google queries and get your information today,
9 we are users of the Internet.

10 Well, because of all the connectivity of
11 devices, the users of the Internet are expected to grow
12 exponentially. So your smart home device, your lights,
13 different monitors, industrial equipment, they're all
14 connected to the Internet, are users of the Internet.
15 And so that's just going to increase the amount of
16 traffic on the Internet.

17 So when you think about the Internet of things,
18 there are going to be more robots using the Internet
19 than there are people using the Internet in the future,
20 and we're almost at that point right now. So, you know,
21 very interesting times.

22 The QR codes, quick response codes, being able
23 to take a photo of a code and having information that's
24 specifically directed to your specific needs that sends
25 you to a website probably has some great promise here.

1 So if I'm a grower and I know that I'm using something
2 on, you know, corn for a particular pest, rather than
3 having to read a 75-page label, I could just, you know,
4 take a quick scan of that product and I could have a
5 dropdown menu of the things that I'm interested in and I
6 could have the instructions delivered to my phone or my
7 device or my tractor automatically.

8 And at some point, you know, the tractor is
9 going to be communicating with the label. There might
10 not need to be a user. Who is the user of pesticides?
11 If it's the tractor, you know, what does worker
12 protection standards look like, sort of the thing that's
13 applying the pesticide if it's not a human being, it's
14 an actual automated piece of equipment that's reading
15 data directly from a label, or from information
16 contained on a website through a label.

17 Product traceability is a really interesting
18 concept. You know, the large food chains already have
19 this in place. So if you are, you know, a large
20 retailer of sandwiches, let's say, without naming any
21 names, and you want to know that, you know, if there's a
22 particular lettuce that's been recalled because of a
23 particular outbreak, because of product traceability,
24 you can go back to your distribution chain and find out
25 whether that lettuce was picked in a field that had a

1 particular outbreak and whether that lettuce traveled
2 with any other products on the trucks as it was in
3 transit that was affected by that outbreak.

4 So, you know, product traceability creates some
5 real interesting agricultural efficiencies and
6 information and data that could be mined to make better
7 decisions.

8 Of course, unmanned aerial applications and
9 aerial vehicles. I presented on this a number of times
10 for PPDC in the past. Damon recalled and made his point
11 about labels, that some of the first things to go and
12 get off labeled as part of registration review, because
13 of the human element and potentials for drift, in the
14 modeling that we have, are the aerial applications. So,
15 and airblast is another one.

16 So if unmanned aerial vehicles present an
17 opportunity for a more precise application of
18 pesticides, it's possible that aerial application could
19 be preserved on those labels, whereas if it's able to be
20 inches above the canopy, versus feet above the canopy,
21 certainly the drift profile could be reduced. There is
22 automatic geofencing, which you can apply to these
23 technologies.

24 I know that the current manned aircraft have
25 some of these capabilities as well. They're flying with

1 a lot of the tech that the unmanned aerials vehicles are
2 flying with. And we're seeing the application of
3 unmanned aerial vehicles be used in particular niche
4 areas. So, for example, in high terrain areas, where
5 it's difficult to get a large aircraft in those areas,
6 like high forested areas, for planting and seeding and
7 pesticide application, where you may not want a human
8 being flying around the high mountain areas, unmanned
9 aerial vehicles present a potential new technology for
10 those users.

11 We have seen them and we have had some
12 conversations in the past in PPDC from our vector
13 control specialists who rather than taking a, you know,
14 swamp buggy out into the marshes and disturbing the
15 wetlands, unmanned aerial vehicles present a new tool
16 where you cannot disturb the wetlands and you can
17 address your mosquito abatement control issues by using
18 for scouting and also pesticide application.

19 And you couple that with some of the advanced
20 sensor technology and Internet of things and the ability
21 for those devices to connect to the Internet, and you
22 have, for example, the mosquito traps that have a 3G
23 chip in them, a chip so they can -- if they start
24 getting high readings, they can notify our public health
25 officials that there are high populations of mosquitoes.

1 We can use the unmanned aerial vehicles to do some
2 scouting and then to develop and deploy technologies to
3 reduce the mosquito population.

4 So unmanned aerial vehicles is an area that we
5 have been having conversations with. We have been
6 talking with universities, with data developers, to
7 understand how this technology can be beneficial.

8 There's also questions that we have. So an
9 unmanned aerial vehicle could actually present a higher
10 risk profile for drift. They tend to be lighter, so
11 maybe you have to refill them more. The rotors come in
12 very different sizes and types. So what does the
13 modeling show for whether that small aircraft is
14 actually increasing the drift while applying those
15 pesticides. That's something that we are looking at in
16 part of our analysis and building our models and working
17 with the data generators to understand the potential
18 risk profiles.

19 But certainly an area that shows promise and an
20 area that is growing and one that OPP, Office of
21 Pesticide Programs, needs to stay ahead of so that when
22 people are asking and this technology continues to grow,
23 we will have the answers that are based on science to
24 determine the efficacy and human health and
25 environmental exposure and benefit for these types of

1 devices.

2 And then augmented reality, I've got a picture
3 of that. You know, it's kind of a neat tool, sort of a
4 what happens when you put your Apple Glass or Google
5 Glass to your eyes and you can see the pests, you know,
6 through some hyperspectral imaging in real time. You
7 know, what does that world look like. You can actually
8 see pollution or maybe you can see drift.

9 And so as an agency, you know, what happens when
10 we get that call from somebody who's using this
11 hyperspectral imaging and seeing, you know, drift
12 happening or seeing pest pressures and seeing the world
13 through this different lens. And, you know, what do we
14 do about that. So making sure that we're keeping an eye
15 on this space is sort of interesting as well.

16 These are some draft questions, again, just
17 draft. Happy to take some refinement. Some of the
18 questions in this space, particularly are for UAVs, has
19 been asked by our state counterparts, our AAPCO and SFIREG partners, and
20 OECD, because this is an international
21 issue, and PMRA in Canada, a lot of the regulatory
22 agencies are trying to get an understanding of the data
23 needs and scientific methods.

24 So this is a draft question, how should EPA
25 obtain a greater understanding of how the use of

1 emerging technologies leads to reduced or increased
2 risks that differ from those resulting from current
3 methods? And then what changes to EPA's approach to
4 labels, if any, are needed to accommodate emerging
5 technologies.

6 So these would be potentially workgroup charge
7 questions for the folks in this space. And I think
8 because the space, it's a fun area, but it's also
9 expansive. So I think some triage and some
10 prioritization of the technologies that EPA should
11 examine would also help form the workgroup in terms of
12 what data we should look at and which areas of emerging
13 technologies should we focus on first.

14 There's a whole list on the prior slide, but,
15 you know, should we just focus on UAVs and try to get
16 that right now? So I think some prioritization would
17 help the agency as well.

18 So we have been undertaking some projects within
19 EPA. The digital transformation that I mentioned, the
20 ability to upgrade our IT systems, so we can actually
21 handle the data that's coming in to review is a first
22 step. I mean, if we have legacy systems where we're
23 getting lots of data on something and we're not able to
24 process it, that really impedes our ability to kind of
25 be proactive around this area.

1 Our OPPEL smart labels, QR codes, red
2 distributed labeling, our UAV workgroup. We visited the
3 Commodity Classic Association of Equipment
4 Manufacturers, so that the tractor manufacturers and the
5 aircraft manufacturers are interested in partnering with
6 EPA. There's probably some folks in this space that
7 would be good workgroup members.

8 There is a number of industry representatives
9 who have an international presence. And so if you're a
10 company and you are working around the world, you'll
11 know that there's a large use of UAVs in Asian -- on the
12 Asian continent. There's some use of UAVs in Latin
13 America. There's some UAVs in Canada, in Europe, in
14 Great Britain and in France and some of the European
15 countries. They have taken a more sort of cautious or
16 restrictive look at the UAVs. I think the U.S. is
17 somewhere in the middle.

18 So I think having some international or
19 companies that are dealing with the space
20 internationally so we could learn from are OECD, which
21 is exploring this issue, and PMRA, and Latin American
22 countries. How they're using these technologies in
23 Asian countries who already -- sort of already are at
24 the cutting edge of the opportunities in this space.

25 And then we have the states have an emerging

1 technologies workgroup which I participate in and
2 members of EPA participate in as well. So there's some
3 cross-fertilization, some of the projects that relate to
4 emerging technologies.

5 So these are an appendix now. These are some of
6 the pictures that I showed the last time and I'll cut it
7 short to make time for discussion. But this is not your
8 little red tractor anymore, this is what a tractor looks
9 like. You know, the amount of tech in this tractor is
10 more than an F15 fighter. It's just the amount of
11 computers and processing power that this tractor
12 delivers is impressive.

13 Harvesters. You can get real-time information
14 for what the harvest was last year, what the moisture
15 content was, are there any dips in the ground. You
16 know, did this area result in higher amounts of
17 throughput, you know, last year, and so you're going to
18 adjust your rates depending on that. It's GPS
19 positioned, so it's driving itself in many respects,
20 across the field. So this is the state of how tractors
21 are being used today.

22 We talked about UAVs. We talked about how
23 farmers ground microtractors as a possibility. So you
24 have artificial intelligence being used to understand
25 and look at the crops and look at the weed pressures and

1 address them in real time.

2 So what does that mean for label rates? You
3 know, how are we using label rates as a label
4 requirement to make sense when you're doing spot
5 treatment 24/7 and you're able to sort of just do a
6 micro application whenever you see a weed and how is the
7 label set up to handle those types of scenarios.

8 This is a robot inspecting an indoor growing
9 facility for lettuce, which is new innovation, sort of
10 rotating bins of crops that's been through the
11 controlled lighting scenarios and the ability to control
12 weed pressures through an example of hyperspectral
13 monitoring that can show you the health of crops where
14 moisture is low, where weed pressure breakthroughs are
15 happening, and then you can apply and change your
16 application for fertilization, which can also have an
17 environmental benefit to reduce nitrification, and also
18 how much pesticides you need to use. And you can have a
19 variable application. And the tractor takes
20 measurements to automatically dispense the right amounts
21 of nutrients or pesticides as needed.

22 This is an example of sort of what a QR code
23 looks like and then you can use your phone to find
24 information on the web. This is the augmented
25 intelligence, using a sensor to use nonvisible light or

1 light that's not visible for the human eye, but may be
2 visible on a different spectrum that can be
3 identification of the redness of the fruit or the health
4 of the fruit in real time.

5 So in your materials, this is something that was
6 sent around, there's some fun reading in this area. But
7 what I'll do is back up to our charge questions and open
8 it up to see if these are the right questions, if you
9 want to add some more, and go from there.

10 So with that, I will stop talking and sit in the
11 uncomfortable silence that may result for a little bit.

12 Liza has a comment. Please go, Liza.

13 MS. TROSSBACH: Thank you. Ed, are you able to
14 hear me?

15 MR. MESSINA: Yes.

16 MS. TROSSBACH: Okay, great. Well, thank you
17 for the presentation and the refresher on the emerging
18 technologies. Just two comments. One, I absolutely am
19 hopeful that this workgroup will communicate with the
20 AAPCO emerging technologies workgroup and perhaps AAPCO
21 will have an opportunity to nominate somebody to
22 participate in the PPDC workgroup just so, you know,
23 those two can move together and share some of their
24 resources.

25 The other thing that I wanted to say, and I've

1 mentioned this previously, is I would encourage this
2 workgroup not to look strictly at agricultural
3 applications of those emerging technologies, but many of
4 these emerging technologies are being used in non-ag
5 applications, and one that comes to mind are the use of
6 UAVs for disinfection in large areas like stadiums, et
7 cetera, but any of these technologies could be made
8 available to the non-ag sector. And we usually think of
9 UAVs that there are, you know, a number of other ones as
10 well, so I would just encourage that.

11 And the other thing that I think is important,
12 and, Ed, we've talked about this before, is the future
13 of labels. And so how you can make them such that it's
14 easier when new technologies come on because the label
15 is the law, to make the label a little more flexible or
16 make a mechanism by which some of those things or labels
17 can be changed so we're readily able to adopt
18 technology. As long as the data's there.

19 So how do you develop data that can be used
20 across a wide variety, you know, of applications and
21 types of product. Thank you.

22 MR. MESSINA: Yeah, great comments. Thank you
23 so much, Liza. So I want to make some notes.

24 Okay. Next comment or question? Shannon, is
25 there a way if we want to change or add to this language

1 here for the workgroup, we can add? So I would just
2 type in, you know, like the workgroup should consider
3 non-ag is as well as ag technologies. All right, so if
4 we could capture this on this one slide as the takeaway
5 for the workgroup, that would be great.

6 MS. JEWELL: I'll work on that.

7 MR. MESSINA: Thanks, yeah. Maybe you could
8 just copy and paste and put it in, or use the PowerPoint
9 document version and just document it.

10 MS. JEWELL: Yeah, that's what I'll try to do.
11 Yep.

12 MR. MESSINA: Thank you, Shannon. Should
13 emerging technologies -- [technical difficulties] --
14 application of pesticides would you anticipate the need
15 for interagency development of regulations and guidance
16 such as EPA and USDA?

17 So, Ed Wakem. Ed, do you want to expand on
18 that? I think that's a great point and maybe you want
19 to follow up.

20 So, Ed Wakem made a comment in the presenter
21 chat but away from the group and I'm just reading
22 through that. I think it's a great concept and I think
23 if there's others that want to react that should
24 emerging technologies be applied to livestock
25 application of pesticides, would you anticipate the need

1 for interagency development of regulations and guidance
2 such as EPA and USDA. Wondering if there's any reaction
3 now or if Ed wants to expand on that comment.

4 All right, and I see Damon is typing. Damon,
5 rather than typing it, if you want to just unmute your
6 phone and give us a comment or two. Yeah, great.
7 Damon, if you want to unmute your phone.

8 MR. RAEBE: Thank you, Ed. And my comment is
9 just in the response to your presentation, and I don't
10 want to beat this like a dead horse, right, we've got a
11 great interplay and a great relationship with the EPA.
12 It's been a real open door.

13 I want to point out, though, that our loss of
14 aerial application labels in my opinion has been a
15 result of unnecessarily overly conservative spray drift
16 risk assessments, and, you know, just to give you an
17 example of one of the inputs that's used that it's
18 setting up the atmosphere in conditions that would be
19 found in an inversion, that it's actually illegal to
20 make a pesticide application in an inversion.

21 So we've seen ourselves, you know, utilizing the
22 model in a way where we're losing access to a tool and
23 if maybe to address that issue if we could as a result
24 of that committee meeting formalize making some
25 significant changes to those investments so that we're

1 not putting in either illegal application parameters,
2 unnecessarily small droplet sizes, unnecessarily large
3 effective boom length relative wingspan, measuring wind
4 speed at a height that doesn't match the boom height,
5 which arbitrarily increases the estimated weed speed,
6 not making use of multiple application assessment method
7 tool that's found within ag drift.

8 If we could start utilizing all of those tools
9 that are already available to us, I think we would have
10 a much higher likelihood of holding on to existing
11 aerial application language. And actually be forwarding
12 techniques that are likely to be used across other
13 pesticides that don't even have those same problems.
14 Many times these aircraft are equipped in a certain
15 manner and all of the other applications that they do
16 are then done in that same manner.

17 So there's a real net positive there. So that's
18 just a comment.

19 As far as charge questions to the workgroup,
20 there's two points I'd like to make. The first is, we
21 have spent, in PPDC, a lot of time on unmanned aerial
22 vehicles. Much of the described benefit comes from the
23 autonomy of the spray system itself. All of those
24 components are currently available to manned aerial
25 application equipment. They're not put together so that

1 they're talking to each other at this point. So I want
2 to make sure the charge questions are worded in a way
3 that manned aircraft are part of the discussion,
4 particularly as it relates to autonomous spray systems.
5 And I think that could be a -- you know, 30 percent of
6 the crop protection products are put out by manned
7 aerial application equipment, and if there's a better
8 way of doing it that's safer, more efficacious, that's a
9 big footprint, and that has a lot of room for
10 environmental improvement from that type of technology.

11 The last piece that I'd like to make sure gets
12 into the charge question of this workgroup is to make
13 sure we do not overlook what the operator does that
14 currently sits in these devices, whether it's the ground
15 machine or an aerial-based machine. One of the
16 responsibilities of all pesticide applicators, it says
17 it on all ag labels, is do not allow this product either
18 directly or through spray drift to come in contact with
19 a worker or other persons. And the vantage point that a
20 pesticide applicator has when they're sitting in either
21 the cab of the tractor or the cockpit of the aircraft is
22 the best possible view of what's happening around the
23 application site.

24 And it provides the ultimate level of protection
25 from human exposure if there is a person actually there

1 near where the product is being released. We want to
2 make sure that this technology includes, if there's not
3 going to be someone present near the nozzles, it
4 includes some form of sensing equipment or whatnot that
5 would make sure that we don't have an inadvertent human
6 exposure that nobody can even see is happening except
7 for the person being exposed.

8 MR. MESSINA: Yeah, all great comments. Thank
9 you, Dan. And I made -- hopefully you heard me, because
10 I've heard you say this before, that a lot of the fixed
11 wing piloted aircraft have some of the similar
12 technologies as the new UAVs. And so I made that point
13 based on feedback you've provided in the past. So I
14 think we've heard that.

15 MR. RAEBE: Yeah, very much.

16 MR. MESSINA: Thanks. And then on the ag drift
17 piece, yeah, that's an interesting point. So I
18 wonder -- so I mean, maybe the way we capture this in
19 the workgroup is, you know, there are emerging
20 technologies on the fixed wing and piloted aircrafts,
21 and so even those technologies are a part of sort of
22 this discovery. And I think the connection is if the ag
23 drift models are doing a disservice to these emerging
24 technologies, which includes the emerging technologies
25 on the fixed wing piloted aircraft, how can we be sure

1 that we're not creating an impediment while also
2 ensuring the health and safety.

3 So, you know, maybe we can capture that charge
4 question, Shannon. So can you add, Shannon.

5 MR. RAEBE: Ed, I just want to make it clear
6 that the ag drift model does capture those things that I
7 mentioned. It has to do with EPA policy on what inputs
8 are used within the model, and parts of the model that
9 have yet to be used. Those were all developed and
10 passed through many scientific advisory panels.

11 And so we just want to make sure that before we
12 begin -- I mean, I'm not saying that that should have
13 anything to do with this workgroup, this workgroup needs
14 to move forward, but we have a situation here where
15 we're losing access to aerial labels while we have a
16 model showing that we probably could meet the spray
17 drift risk assessment goals of EPA by having more
18 restrictive label language on how the application is
19 performed with the existing technology and those
20 modeling parameters are just simply sitting there
21 waiting for us to use an ag drift.

22 So I don't know that we need to wait for this
23 workgroup to begin to start better utilizing that stuff.
24 And I don't want to make a -- the EPA has listened to us
25 very patiently, the USDA's Office of Pesticide Management has

1 as well. We're making great strides in improving
2 labels, but there's a lot of work left to do that. I
3 don't know that that would need to be part of this
4 workgroup.

5 MR. MESSINA: Yeah, I'm happy to talk offline
6 about this topic, you know, as we have in the past, and
7 I mean, I want to be -- it fits within the framework of,
8 you know, how as an agency can we include and encourage
9 different tools for growers, while also managing the
10 health and safety. Whether it's the inputs or if there
11 are opportunities to, say, aerial application on the
12 label, where we're able to demonstrate health and
13 safety, we should do that, and if for some reason by way
14 of a policy determination that isn't based on science,
15 we're doing that, we should work to correct that.

16 So, you know, my commitment to sort of talk
17 offline and see whether there are specific things for
18 aerial application that we might want to take a look at
19 outside this group, or within this group.

20 So, Shannon, can you write on this slide that
21 the workgroup could prioritize among the emerging
22 technologies on where EPA should focus first and that's
23 a separate bullet, that's not related to ag drift. But
24 I think we could look at whether or, you know, the
25 inputs into the ag drift model, as Damon -- and policy

1 calls related to ag drift model, should that be examined
2 for both emerging technologies, including fixed wing
3 manned aircraft.

4 So I think Mano had a comment, since he's the
5 sponsor of this workgroup, I'll turn to him and see if
6 he has any comments or questions.

7 MR. BASU: Thank you very much, Ed. Can you
8 hear me?

9 MR. MESSINA: Yes.

10 MR. BASU: Wonderful. And again, thank you for
11 the opportunity to draft the description for this
12 workgroup and allowing me to propose the workgroup. I
13 look forward to working on this emerging technology
14 workgroup.

15 As you mentioned in your presentation, emerging
16 technologies encompasses many aspects of digital
17 precision ag, software enhancements, UAVs and definitely
18 much more. One way as we are thinking about
19 prioritization, one way to look at the long list of
20 emerging technologies that you shared in your slide
21 would be, as mentioned in my description document, which
22 one of those are truly a technology versus which ones of
23 those are platforms to build additional or more
24 technologies in the future.

25 That may allow us to narrow the list that we

1 really need to prioritize. Because we really need to
2 look into a posture to enable the development of these
3 emerging technologies. So looking at it from a platform
4 versus a technology may allow us to easily prioritize.

5 Talking about the data requirements a bit here,
6 that came up in your presentation and some other
7 comments as well. Another way of looking at it may be
8 what scientific data or regulatory data already exists
9 that may allow us to answer some of the regulatory
10 questions that may arise with these emerging
11 technologies. Maybe just a different way of looking at
12 emerging technologies specifically.

13 Finally, the question, moving on to that page,
14 there's a lot of work, and specifically --

15 MR. MESSINA: Hey, Mano?

16 MR. BASU: Sure?

17 MR. MESSINA: Before you go with the question,
18 if you wouldn't mind, can we capture those comments on
19 this slide right now, because I thought they were good
20 ones. So, Shannon, can you do that before we get to the
21 question.

22 MS. JEWELL: Can you just repeat that for me so
23 I can type it.

24 MR. BASU: Sure. One, the first one would be
25 differentiating a technology versus a platform for

1 developing a technology.

2 MR. MESSINA: So what would the charge question
3 to the group look like? The workgroup should examine
4 the technologies and -- I think I understand what you're
5 saying, but I don't want to put words in your mouth. So
6 what might you want the workgroup to think about in the
7 difference between the technology in the applied form?

8 MR. BASU: Yeah, I would say, and again, I am
9 open to suggestion here from other members of PPDC.
10 What I would suggest is we should look into technologies
11 rather than spending time on platforms to develop these
12 technologies. I mean, artificial intelligence is a
13 platform. There could be many products coming out from
14 artificial intelligence. Some may be ag use, some may
15 be completely different use.

16 So how do we focus specifically on -- and when I
17 say ag, I do want to include non-ag use as well. So how
18 do we focus on those specifics rather than artificial
19 intelligence being used for a cell phone or, you know,
20 some other kind of technology. That's how I look to
21 differentiate these things.

22 MR. MESSINA: Okay. So then your other comment,
23 which I thought was a good one.

24 MR. BASU: The other comment was specifically on
25 data requirements. And on that piece, I mean, is there

1 existing scientific and regulatory data that is
2 available which will allow us to answer regulatory
3 questions related to these emerging technologies.

4 Now, once you identify the gaps, then there may
5 be questions on what additional data requirements are
6 there, but if existing data can answer the questions we
7 have, then, you know, it may be a completely different
8 way of looking at what the emerging technology is.

9 MR. MESSINA: Great. And I see that Shannon is
10 capturing that concept. Thank you, Shannon. Okay, and
11 then you have questions? Other questions?

12 MR. BASU: Yeah. The question specifically on
13 collaboration with international bodies. I know EPA
14 participates at OECD. There is some discussion going
15 on, PMRA is doing some work, you mentioned. In the
16 Asian content, there is a lot of work that has already
17 happened, specifically with drones and UAVs. How do we
18 align and engage with some of these international
19 platforms and make sure that, you know, we are not going
20 in a completely different direction, if I may say so.

21 MR. MESSINA: Yeah, that's a great question, and
22 is that a question that you think we should charge the
23 workgroup with answering?

24 MR. BASU: I think so. That should be a
25 question that the workgroup should be looking at for

1 alignment with OECD and other international bodies.

2 MR. MESSINA: Great, thank you.

3 MR. BASU: Thank you very much.

4 MR. MESSINA: Damon, did you have another
5 question?

6 MR. RAEBE: Yeah. Sorry, Ed. I don't know that
7 it got captured with the concept of posing in the charge
8 question to make sure we're accounting for the potential
9 loss of an operator being at a pesticide application
10 site.

11 MR. MESSINA: Yeah, okay, great. Thank you,
12 Shannon. And let us know what specific words you'd like
13 to charge the workgroup with, Damon. This is that
14 opportunity.

15 MR. RAEBE: You want me to just type it in the
16 comments, maybe? Would that be the easiest?

17 MR. MESSINA: Oh, yeah, that would be great.
18 And, Mano, if you want to do the same, you know, to
19 develop the charge question and then Shannon can copy
20 and paste it, because she's sort of shortening it right
21 now.

22 MS. JEWELL: Yeah, that would be really helpful.

23 MR. BASU: Yep, will do.

24 MR. MESSINA: Thank you. Other comments and
25 questions? And, Liza, hopefully we captured your

1 comment as well on the non-ag piece, but if you've got a
2 question for the workgroup, I would like to see it, and
3 please type it in the chat.

4 Let's hear from some others. Not to pick on
5 anybody, but anybody in our worker protection space want
6 to provide some input on kind of the worker exposure
7 piece of emerging technologies and how the agency should
8 address those concerns and do we want to charge the
9 workgroup with examining some of those aspects?

10 MS. TREVINO-SAUCEDA: Hi, this is Mily
11 Trevino-Sauceda. Can you hear me?

12 MR. MESSINA: Yeah. Yes, thank you.

13 MS. TREVINO-SAUCEDA: Yes, only like two or
14 three days ago, I was contacted by your office and I was
15 happy that was done, but it should have been done before
16 now. I know that this group is going to be of vital
17 importance in terms of the worker protection standards
18 or the worker protection and to review the standards.
19 Because years back we did have regulations that were
20 approved and then there was some drawback.

21 And meanwhile, workers are not being protected
22 or were not being protected, and that has caused a lot
23 of problems. So here, it's about trying to make sure
24 that we get more serious about the health of
25 farmworkers, specifically our farmworkers that I'm talking

1 about, and the agricultural area.

2 And so we have not talked as of yet, but we
3 will, pretty soon, hopefully, and I hope several other
4 people will join.

5 MR. MESSINA: Yeah, thank you. So maybe I
6 should have been clearer. We are going to be talking
7 about the farmworker workgroup tomorrow, so this topic
8 on emerging technologies has been on prior PPDC
9 workgroups and we talked about it in May as a potential
10 workgroup. So my question was, you know, are there any
11 charges for this emerging technologies workgroup where
12 we should consider farmworker issues.

13 So we'll talk about the farmworker group
14 tomorrow, and we'll kick things off and we've got some
15 draft charge questions, which we can develop, and there
16 will be plenty of time to work through those issues in
17 the fall and winter and spring, and, of course, there's
18 the May meeting. So this is really a kickoff.

19 But are there any issues for this workgroup, the
20 emerging technologies one, which has sort of been on
21 EPA's radar for a couple of years now, but for worker
22 protection?

23 MS. FIGUEROA: Hi, this is Iris. Can you hear
24 me?

25 MR. MESSINA: Yes, thank you, Iris.

1 MS. FIGUEROA: So as you said, this has come up
2 before. So, you know, we still have a lot of similar
3 concerns that we've brought up in the past. So the
4 issue of drift is obviously a very big one that you had
5 mentioned. The issue of visability of who's
6 controlling, you know, the technology and what is that
7 person's viewpoint in terms of other people who might be
8 in the area. And also the reaction time and how that
9 differs from a human being.

10 And so those are some of the aspects that we're
11 really concerned about, about not having, you know, the
12 same amount of ability -- first of all, the same
13 context, you know, sort of human, real-life context of
14 what's going on, if it's just these inputs, and the
15 ability to react to that reality on the ground.

16 MR. MESSINA: Okay. So I think that's a great
17 concept. Is there a question that you think the agency
18 needs to answer there, and then is there a question you
19 think that the workgroup should be charged with
20 providing information to the agency about? How would
21 you frame that question? Which I think is a good one.

22 MS. FIGUEROA: I think Lori Ann and Christina
23 just typed in a good summary of what I was saying in
24 terms of the visual determinations. So a similar
25 question about the visual determination, but also of

1 human beings present in the area. And then Christina
2 also had a good question about how does the interplay
3 between the emerging tech and the WFPF requirements work
4 and, you know, what tweaks that need to be made.

5 MR. MESSINA: Yeah, awesome. I'm reading those
6 now. I think those are great, great questions. So,
7 thank you, Christina and Lori Ann, for suggesting those.
8 I think we'll copy and paste those into the Word
9 document. I'll read it for the folks that are on the
10 phone right now, and the first charge question for the
11 emerging technologies workgroup related to worker
12 protection would be what is the interplay between
13 emerging tech and WPS training requirements, and then
14 where labels include making visual determinations on
15 whether or not endangered species or other sensitive
16 wildlife are present, how will those determinations be
17 made? And I guess that's a dot, dot, dot, given the use
18 of an emerging technology.

19 Great questions. Thank you. I'm glad I asked.

20 MR. ARROYO: And this is Ruben Arroyo.

21 MR. MESSINA: Yeah, Ruben, please.

22 MR. ARROYO: You know, when you mentioned the
23 field workers or farmworkers in relation to new
24 technology, I think it was mentioned there about the
25 proximity of field workers and based on, you know, what

1 the new technology is. I mean, we still need to
2 consider that as part of worker protection standard, if
3 there's a buffer or something like, you know, as far as
4 like I said, the proximity to them.

5 And the handler, of course, even though, you
6 know, these new technologies are requiring less and less
7 hands-on touching, we're still going to have a handler,
8 which could or could not be a farmworker or somebody
9 working for the -- you know, the applicator. And, you
10 know, somebody is still going to have to load the
11 chemistry into a tank or, I mean, maybe it would get so
12 far into this as far as using closed systems, although
13 those are required for certain chemistries, but not all.
14 But if we're looking at the safety and the handling of
15 these and maybe with these emerging technologies, we
16 consider, you know, how these are dispensed into the new
17 technology.

18 MR. MESSINA: Yeah, great question. Great
19 comment, too. I've seen examples of where, you know,
20 the UAV takes off, it docks, it has a little sort of
21 stinger, if you were, feeds into the tank, sucks up the
22 pesticide that it needs and then takes off. So it is a
23 bit of a closed system, and the worker exposure piece of
24 this is, in fact, less. So there are examples where the
25 worker exposure profile can be reduced because of these

1 emerging technologies. So, yeah, thanks for that
2 comment. Appreciate it.

3 Do you have a question for the workgroup that
4 you think isn't captured yet by the ones that are in the
5 comments field related to worker protection issues and
6 farm issues?

7 MR. ARROYO: I think it was captured. I don't
8 know if it was specifically captured as far as, you
9 know, the new technology and the distance, or buffer,
10 from field workers.

11 MR. MESSINA: Okay. Yeah, I think if we -- you
12 know, so far we can -- it looks like we can keep it
13 general, and I think, Iris, I'm looking at Iris'
14 comment, Shannon, about relating Lori Ann's comments
15 about visual determinations for worker safety while
16 emerging technologies are being used. Hopefully that
17 captures some of it.

18 Okay. Any other comments or questions on this
19 topic? We've got about 10 minutes left. And, Shannon,
20 do we have any public commenters at our requested time,
21 at our 4:45 session?

22 MS. JEWELL: We don't for today, Ed, no.

23 MR. MESSINA: Okay. And it's okay, if you don't
24 get to a comment today, we'll have two more comment
25 sessions tomorrow. And tomorrow we will also be joined

1 again by Alex, in the morning, for a brief introduction
2 and some updates as well. And then we will roll into
3 the COVID updates and then we'll go into the remaining
4 workgroups and do a similar drill here by trying to
5 build some charge questions and launching of the
6 workgroups.

7 So Mark Johnson commented, more than workers in
8 systems like turf landscapes provided safety related
9 to -- so, Mark, do you want to expand on that? I think
10 reading into your language, it's probably also public
11 exposure, but I just want to make sure I'm getting that
12 comment correct.

13 MR. MARK JOHNSON: Yeah. So it's obviously more
14 than golf courses who I represent when you consider in
15 the 60 million acres as an estimate until they get done
16 with the survey, but, you know, workers obviously in
17 some environments like airports and that that are on the
18 outside, but all turf systems and landscape systems
19 where pesticide applications are going to take place,
20 probably more UAVs for now, precision agricultural, but
21 some of our equipment feeds off of agriculture, but in
22 other cases lags behind agriculture.

23 So when it comes down to the safety of turf
24 grass systems in any urban environment, right, public
25 safety, and beyond, whether those are at universities,

1 schools or whatever, with small UAVs that may be doing
2 some of this work. So I would just say expand the
3 question in light of it beyond workers in that immediate
4 area but the followup with people, right, periods of
5 time following treatments and things like that that
6 might want to be addressed by this workgroup.

7 MR. MESSINA: Great. So, Shannon, can you
8 capture that in the PowerPoint? We're not seeing the
9 PowerPoint anymore, so if you're pulling it into the
10 PowerPoint, we're just seeing the comment chats. Just
11 FYI.

12 So, Cathy Tortorici, what are the interplay
13 between workgroups because of the overlap between spray
14 drift and the use technology? And, you know, Dr. Joe
15 Grzywacz from Florida State University proposed a
16 cross-cutting issues workgroup and it was one of the
17 ones that we didn't select, in part because we thought
18 that the workgroups could certainly partner and where
19 there was overlap, we would sort of leave it to the
20 workgroups and also point out the overlaps that existed,
21 which is why I sort of asked the worker protection
22 question, because we do have a worker protection, you
23 know, field worker workgroup. And so certainly if there
24 are folks that have expertise in that area that we're
25 going to want to invite to our workgroup sessions to

1 obtain a better understanding, that can certainly
2 happen.

3 So, Cathy, to answer your question, I would say
4 feel free to use your colleagues and members of the
5 other workgroups to develop more robust answers that
6 your workgroup is charged with.

7 MS. TORTORICI: This is Cathy. I just wanted to
8 add something to that. I'm not asking for like a
9 cross-cutting workgroup. I just found it interesting
10 that in listening to the conversation there are some
11 common themes that are coming up, and it would be really
12 good to make sure that as recommendations are developed
13 that those are cross-checked between the workgroups so
14 that you've got synergy versus conflict to the extent
15 you can in terms of what folks are recommending.

16 And I also wanted to say one other thing quickly
17 about the comment that Lori made about species that
18 there is a connection in terms of application for
19 species and how it could affect them and people, right?
20 I mean, there is some -- I see some conversation clearly
21 about, you know, what are the buffer areas and how are
22 you applying things to minimize impacts to people. That
23 certainly goes for species and the concerns that we have
24 as well.

25 So I'll be interested in the conversation about

1 that to see the overlap between those two things,
2 because we certainly don't want to be talking about
3 species protections that could be a problem for worker
4 protection or vice versa. Thanks so much.

5 MR. MESSINA: Great. Yeah, thank you.

6 MS. JEWELL: And, Ed, let me just chime in. I
7 hate to interrupt, but I will capture all of these notes
8 and will get them in the transcripts, too, and in the
9 PowerPoint. The reason I was letting the presenter chat
10 show is just so members of the public are privy to the
11 comments in the presenter chat, too. I hope that's
12 okay.

13 MR. MESSINA: Oh, no, that's fine. Right now
14 I'm not seeing anything.

15 MS. JEWELL: Okay, I'm going to go back to
16 sharing. I'll work on that while you address the
17 comment, though.

18 MR. MESSINA: Yeah. So I was going to go to the
19 next comment, and I can't see who the next commenter is.
20 I think it was Amy Asmus, if I'm recalling. And, Amy,
21 if you want to just unmute your phone and make a
22 comment, that would be great. I think I saw that you
23 commented and I don't see the comment anymore.

24 MS. ASMUS: Thanks, yeah. Okay, this is Amy. I
25 was just listening to some of the comments. Should one

1 of the questions be since one of the charges is having
2 flexibility in what the EPA does for the labeling or to
3 accommodate some of this emerging tech, does there need
4 to be some kind of innovation analysis, not only on the
5 tech that is currently emerging, but as an ask to what
6 are some of the needs that somebody could develop
7 emerging techs to address?

8 MR. MESSINA: So is there a workgroup charge
9 question in that comment?

10 MS. ASMUS: I'm not sure. I guess my question
11 was, are you looking at existing emerging tech or is
12 this group also charged with looking at tech that may be
13 innovative coming down in the next five to ten years?

14 MR. MESSINA: Yeah. Well, my personal view was
15 trying to get ahead of the emerging technology, which
16 when I use the word emerging, I'm thinking things that
17 are here, but also are kind of on the horizon, and I
18 think that's why I included sort of the farther out kind
19 of technologies like, you know, augmented reality as a
20 farmer. You know, how soon is the farmer going to be
21 using augmented reality in the field, I don't know, but
22 it's certainly already being put into practice for the
23 indoor growing areas.

24 So, yeah, I think it includes both, but that's
25 just my personal opinion. I think others on the

1 workgroup can chime in.

2 I think it includes both, but I think that's why
3 I asked the prioritization question. I think there's
4 plenty to do right now with the technology that's
5 existing, that is new, that we haven't yet done, but I
6 think the other piece of that is keeping an eye towards
7 the future as well.

8 All right. So we have two minutes left. Any
9 other final comments or questions for this workgroup?

10 And I think we have some charge questions. You
11 know, the workgroups can modify them a little bit, but I
12 think from my personal perspective, I think we have some
13 good charge questions. I think we've got plenty to do.
14 Please volunteer for this workgroup, it won't work
15 unless we have some good members. And then Mano and I
16 as the chair and co-chair can talk to folks about who
17 might be good to be on this group, as well in reaching
18 out and commenting on the international piece will be
19 helpful and we can think of some contacts we've had in
20 the past or researchers who were in the space in
21 universities, companies that have an international
22 presence that are using these technologies already
23 internationally. I'm sure the NAAA folks might be
24 interested.

25 And I would like to have, Damon, you on the

1 workgroup as well. So please think about volunteering
2 and think about other charge questions that the group
3 can undertake.

4 So with that, any final questions or comments
5 before we close the session for today?

6 (No response.)

7 MR. MESSINA: All right, we are ending exactly
8 on time, and we have our public comment session from
9 4:45 to 5:00, but having received no comments for public
10 comment, and, Shannon, I just want to confirm that we
11 still have nobody who's requested to speak at 4:45?

12 MS. JEWELL: Yes, I confirm that. If there was
13 anyone, I have gotten quite a few emails pouring in, if
14 there was anyone, it came at the very end of the day and
15 we will make sure we schedule them for tomorrow.

16 MR. MESSINA: Okay. Well, thank you, everyone.
17 Any parting comments from you, Shannon? Thank you for
18 running a wonderful session today. The technology and
19 all the remote folks from around the country, it was
20 fairly seamless, certainly going to be definitely
21 hiccoughs along the way, but I would say all in all,
22 thank you so much for your work behind the scenes and
23 Carla's work behind the scenes and the folks that have
24 given our translation.

25 And for all of you on the PPDC workgroup for

1 your time, I really appreciate your comments, your
2 thoughtful comments. We really take them to heart, and
3 I think it helps us be better as an agency, and I
4 certainly appreciate hearing from you all.

5 So with that, Shannon, any last parting comments
6 before we conclude?

7 MS. JEWELL: No, not other than thank you so
8 everyone for joining. Thanks, Ed.

9 MR. MESSINA: Great. Thank you, Shannon. Have
10 a good night and we will see you bright and early
11 tomorrow, starting at 11:00 a.m. where we will have a
12 slight agenda change, Alex will talk to us again at
13 11:00 a.m. She's got a couple of program updates for
14 us, and then we'll go into our COVID-19 activities,
15 emerging pathogens workgroup, public comments, lunch
16 break, farmworker and clinicians training workgroup, the
17 training on the online communication platform, and then
18 a wrap up on moving forward, public comments, and then
19 adjourning for tomorrow at 5:00.

20 So have a great night, everyone. Thank you.

21 (Whereupon, at 4:52 p.m., the meeting was
22 adjourned.)

23

24

25