

UNITED STATES ENVIRONMENTAL PROTECTION AGENCY

12TH CONFERENCE ON AIR QUALITY MODELING

WEDNESDAY, OCTOBER 3, 2019

ENVIRONMENTAL PROTECTION AGENCY
RESEARCH TRIANGLE PARK, NORTH CAROLINA

8:30 a.m.



	A G E N D A		
1			
2	Presentations by EPA		
3	Welcome and Opening Remarks	George Bridgers, OAQPS	5
4			
5	Introduction of Expert Panel Discussion #6	James Thurman, OAQPS	7
6	Near-field & Long-range Model Evaluation Criteria	Bret Anderson - US Forest Service	13
7			
8	Near-field & Long-range Model Evaluation Criteria	Mark Garrison - ERM	28
9			
10	Near-field & Long-range Model Evaluation Criteria	Erik Snyder, EPA Region 6	50
11			
12	NO ₂ Modeling Techniques	Chris Owen, OAQPS	61
13	NO ₂ Modeling Techniques	Jeff Panek - Innovative Environmental Solutions	79
14			
15	Acting Deputy Administrator for OAR	Anne Idsel - OAR	86
16			
17	Continuation NO ₂ Modeling Techniques	Jeff Panek - Innovative Environmental Solutions	89
18			
19	Model Plume Rise	Chris Owen, OAQPS	99
20	Model Deposition	James Thurman, OAQPS	112
21	Model Clearinghouse Status Update and Lean Project	George Bridgers, OAQPS	117
22			
23	Single-source O ₃ and PM _{2.5} Modeling Techniques	Kirk Baker - OAQPS	136
24			
25			

A G E N D A
Continued

1			
2			
3	Single-source O ₃ and PM _{2.5} Modeling Techniques	Leiran Biton -EPA Regional Offices	146
4	Single-source O ₃ and PM _{2.5} Modeling Techniques	Mike Moeller - EPA Regional Offices	152
5			
6	Modeling Guidance Updates	George Bridgers, OAQPS	177
7	Introduction to and Opening of the Public Hearing	George Bridgers, OAQPS	187
8			
9	A&WMA APM General Comments	Michael Hammer, Lakes Environmental	187
10			
11	API Air Modeling Group Comments	Chris Rabideau, Chevron	195
12	AERMOD's Treatment of the Penetrated Plume - Current Formulation and Suggestions for Improvement	Bob Paine, AECOM	203
13			
14			
15	An Alternative Implementation of AERMOD's Penetrated Plume Treatment	Ken Anderson, Ameren UE	210
16			
17			
18	AISI Comments Regarding Improvements for Modeling and Permitting Procedures	Bob Paine, AECOM	214
19			
20	Current Updates to the CALPUFF Model	Christopher DesAutels, Exponent	227
21			
22	Permit Modification Modeling Challenges With PM _{2.5} Primary and Secondary Emissions	Mary Kaplan, AECOM	238
23			
24	Innovative Techniques for the AERMOD System	Christopher Warren, AECOM	245
25			

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A G E N D A
Continued

Introduction to Public Hearing Portion George Bridgers, OAQPS 251

Public Comment Matt Porter, NCDEQ 252

P R O C E E D I N G S

1
2 MR. BRIDGERS: Good morning. We are
3 going to ask everyone to go ahead and take their
4 seats. We are going to get started here in a
5 moment. So with that, I will reopen the hearing.

6 Again, I'm George Bridgers. I'm here
7 with the US EPA, and just to re-mention, since I
8 said I was opening the hearing, I just want to make
9 sure it's clear for everyone, this is a public
10 hearing, and everything that's being said and
11 presented is being transcribed and will be part of
12 the docket. So I hope -- as I did yesterday, I
13 start with the appreciation of everyone in the
14 room, but I also hope that everyone had a great
15 evening last night and enjoyed the temperate
16 weather here in central North Carolina.

17 A little bit of housekeeping. I got the
18 nastygram yesterday evening. It was nobody's fault
19 in the room, but security called me at about 6:00
20 and said, "You've got about 50 guests that have
21 your name as being signed in, and they haven't
22 signed out." So I don't know -- I understand there
23 may have been some confusion on exit yesterday.
24 But as you exit today, just make sure you sign out
25 at the guard desk. Otherwise, they are going to

1 look for me to find you, and I'm -- "They're gone."

2 But anyway, and another -- just a
3 friendly reminder, at lunchtime, if you exit to the
4 patio at the lunchroom, you will be locked out, and
5 you will have to go through security. I think we
6 made that clear yesterday. If you walk out a door
7 and you are outside, you'll have to go back through
8 security to come back in.

9 So we have one more panel this morning,
10 and then we are going to transition to some EPA
11 presentations mid-morning, and then the public
12 comment portion of the conference at the end. I
13 know some of you will have flights to catch, so you
14 may not be around the whole day. If you know me,
15 you know that one of the things I talk about is
16 feedback, good, bad, and otherwise. And we do have
17 a public comment docket for this conference, but
18 outside that docket, if you have comments on how we
19 have run this particular conference with the panels
20 and some of the other presentations, if you have
21 other suggestions as to how we might run the 13th,
22 I welcome that feedback, and things that went well,
23 things that didn't go well. They don't have to go
24 to the public docket, but they can come to me. We
25 will take those under consideration.

1 I have no clue. The 13th may be aligned
2 with public rulemaking. We might be doing
3 additional revisions to the Guidelines at that
4 point, or updates to formulations to one of our
5 preferred models. So that may change the character
6 of the 13th. We will kind of cross that bridge
7 when we get there. But nonetheless, I enjoy the
8 feedback, critical and otherwise, so please send
9 that in to me.

10 Without further ado, I'm going to turn
11 the mic over to James Thurman here to kick us off
12 with our model evaluation panel, and just with a
13 placeholder that there is a surprise this morning.
14 Later this morning we have a little surprise for
15 everyone. And that's in a good way.

16 MR. THURMAN: So this is our last panel,
17 and it's being -- it's last because all the things
18 we talked about yesterday kind of lead to this, put
19 in these options, like flow wind, new downwash,
20 prognostic data. How do you know they work? You
21 have to evaluate the model. We did that for the
22 prognostic data. We did model evaluations on
23 AERMOD to see if prognostic data performed just as
24 well or if not better than National Weather Service
25 data. These new ALPHA and BETA options, we'll be

1 going through model evaluations. So it's fitting
2 that this is the last one, because everything leads
3 to this. So if our panelists can head up to the
4 front, I will just have some brief discussion
5 points before I introduce the panelists.

6 We are going to talk about model
7 evaluation techniques for near-field and long-range
8 transport. In the near-field, we will discuss the
9 EPA protocol for determining best performing model,
10 or as easier to say, Cox-Tikvart protocol. This is
11 for regulatory applications in the near-field. We
12 will talk about advantages and disadvantages, why
13 they are the opinions of the panelists. We will
14 talk about the episodic versus long-term field
15 studies. You know we have the evaluation databases
16 we use for AERMOD. An episodic one would be --
17 example would be like Tracy. You know, we talk
18 about that a lot. Long-term, those are the
19 continuous ones, like Baldwin, Bowline, Lovett. So
20 then we will talk, you know, how you do evaluations
21 for episodic if you can't really use Cox-Tikvart.

22 We will talk about nonregulatory
23 applications, such as risk assessments, where
24 you're more concerned about where an impact occurs,
25 not necessarily if an impact occurs. You know,

1 where it's happening, in like a population center
2 or something like that. Then we will talk about
3 long-range transport evaluation needs, and then
4 we'll talk about key features of model evaluation
5 databases.

6 So just a brief word on Cox-Tikvart.
7 Mark will talk more about this in his presentation.
8 It's the EPA's protocol for model evaluation in
9 near-field based on the robust highest
10 concentration and absolute fractional bias. This
11 is the heart of the methodology. The RHC is the
12 measure of the top end of the concentration
13 distribution, usually the highest 26 values. It
14 looks at 1-, 3-, and 24-hour models to monitor
15 comparisons based on a monitored RHC and a modeled
16 RHC.

17 When you look at the one-hour, you are
18 pairing the monitor and the -- monitor receptor in
19 space and meteorological conditions, what's called
20 the scientific component. It may not be the same
21 hours, but it's the same conditions. The 3- and
22 24-hour are unpaired in space and time. It's
23 basically the max monitored RHC and the max modeled
24 RHC are compared to each other. And you are going
25 to calculate absolute fractional bias for each one

1 of those averaging times, then combine those in a
2 composite performance measure, and you can weight
3 each averaging period depending on application.
4 The default is kind of like each one is a third.
5 If you are looking more at 1-hour you may weight
6 that more than a 3- and 24-hour. And then you take
7 those composite -- the CPM values and calculate the
8 model comparison measure. You take the difference
9 between two different scenarios, their CPMs, that's
10 your MCM, and then you pair those, and that tells
11 you which one is performing better relative to the
12 other. And then finally you can do -- evaluations
13 can include bootstrapping to determine statistical
14 significance across the evaluated models, like
15 1,000 samples and compare.

16 So we will talk -- I will introduce our
17 panelists, if they want to come up. Our first one
18 is Mr. Bret Anderson. He's no Smokey the Bear, but
19 he does work for the Forest Service. Come up. Put
20 you at the end. If you weren't here yesterday,
21 Bret is a physical scientist for the USDA Forest
22 Service. Previously he worked for Region 7 as the
23 lead regional modeler and started with the Nebraska
24 Department of Environmental Quality. His technical
25 experience is in permit modeling, meteorological

1 and photochemical modeling, long-range transport
2 modeling, and smoke transport modeling. Bret is a
3 graduate of the University of Nebraska-Lincoln with
4 a BS in geography and has an MS in computer
5 information systems from Bellevue University.

6 Our next panelist is Mark Garrison. Do
7 you want to head up? He is a partner and technical
8 fellow with the Environmental Resources Management,
9 ERM, with over 40 years of experience as a
10 meteorologist and air quality dispersion modeler in
11 the environmental consulting field for the electric
12 utility industry, and the US EPA Region 3.

13 Mr. Garrison has extensive experience with
14 permitting and air quality issues for air emissions
15 sources for a wide variety of industries, both
16 domestically and internationally, and extensive
17 experience in the application and evaluation of air
18 quality models and finding solutions to complex
19 problems.

20 And our final panelist is Erik Snyder
21 from Region 6. He is the lead regional air quality
22 modeler. Sometimes I call him the "lead" regional
23 air quality modeler. He has 24 years of experience
24 in the air quality field, including 18 years in the
25 Air Branch in Region 6 in Dallas. Prior to joining

1 the EPA, he worked for the state government and
2 consulting in the air quality field. He has a BS
3 in engineering physics from some university in
4 Oklahoma. I don't know which one.

5 MR. SNYDER: OU.

6 MR. THURMAN: Did you know
7 Barry Bosworth [sic]?

8 MR. SNYDER: Actually, I knew Boz. Not
9 well.

10 MR. THURMAN: So we will go over our
11 charge questions. We have four charge questions.

12 The first one is: As part of the model
13 evaluation process for establishing preferred
14 models, the Guideline recommends the use of the EPA
15 Protocol for Best Performing Model; i.e., the
16 Cox-Tikvart method. Is the Cox-Tikvart method
17 still appropriate for near-field regulatory
18 applications? And what are -- what do you see as
19 the advantages and disadvantages of the protocol?
20 And how can or should applications that do not fit
21 the Cox-Tikvart paradigm, such as episodic or
22 short-term tracer studies, be evaluated?

23 And then number two: What evaluation
24 methods, other than Cox-Tikvart, may be appropriate
25 for consideration by EPA in updating the Guideline,

1 or could be used now for nonregulatory
2 applications, such as risk assessments, where
3 spatial and temporal distributions may be more
4 important?

5 Our third question is: What evaluation
6 methods and tools are available and appropriate for
7 long-range transports? In comparing the model
8 evaluation needs for near-field and long-range
9 transport applications, what are the metrics most
10 important or relevant to each, and why do they
11 differ?

12 And then finally: What are the key
13 features of a model evaluation data set for
14 near-field models and long-range transport? What
15 would we need for a data set?

16 So like we have done before, we will go
17 alphabetical. So we will go -- start with Bret, if
18 you want to come up here.

19 MR. ANDERSON: I really don't.

20 MR. THURMAN: That's fine.

21 MR. ANDERSON: No. I will come up
22 there.

23 MR. THURMAN: All right. Each one of
24 you have 20 minutes.

25 MR. ANDERSON: Believe me, I will be

1 done in five. I'm gonna take a lesson from
2 Rick Gillam yesterday, and I am going to defer on
3 questions 1 and 2 and focus on 3 and 4 because, as
4 you know, as it was mentioned, you know, we focus
5 on the -- in the land management community
6 yesterday, we focus most commonly on the long-range
7 transport applicational models. And so that is
8 where, you know, the majority of work that I have
9 done, in terms of performance evaluations, has
10 been. It's been on long-range transport
11 applications.

12 And so I played an instrumental role in
13 the 2012 EPA report that evaluated all available --
14 at the time, all of the available transport models
15 that are used in emergency response and for
16 long-range transport applications. And we started
17 that work when I worked for OAQPS here and then
18 continued it when I moved on to the Forest Service.

19 And one of the things that we had to do
20 when we were evaluating -- you know, coming up with
21 an evaluation paradigm, was to take a step back
22 through history and look at what EPA had done
23 previously, in terms of all the different
24 evaluation efforts. And the first one that we ran
25 across was a study that was published in 1986, and

1 that was what I referred to as the eight-model
2 study. And basically what it keyed off of was
3 there was a meeting of the -- American
4 Meteorological Society meeting in the early 1980s,
5 I think it was in Woods Hole, Massachusetts, and it
6 was where -- and there was a Forest Service
7 researcher by the name of Doug Fox that was the
8 lead there. And the paper got published out of
9 this that described all of these different
10 performance metrics and then also discussed data
11 organization strategies: pairing in time and space,
12 you know, pairing in space and not time, pairing in
13 time and not space. You know, various -- various
14 organization schemes.

15 And so shortly thereafter, EPA published
16 a Federal Register notice for a -- you know, asking
17 for a model call, essentially. It's like, you
18 know, I have everybody, you know, that has a model
19 that is used -- you know, that can be used in a
20 long-range transport capacity to give us -- give us
21 a copy of it and let us evaluate it, see if it
22 could be used, adopt it into the Guideline as a
23 preferred model. And so that's the evolution of
24 that eight-model study.

25 So the results from that eight-model

1 study were, you know, kind of interesting from the
2 perspective that, basically discovered there was --
3 you know, they basically did the shotgun approach
4 to model performance evaluation. They threw every
5 metric at it, every data organizational strategy,
6 and didn't tailor the evaluation paradigm to what
7 the particular regulatory application was. So the
8 models competed in an absolute sense with no
9 tailoring of the paradigm for how it would be used
10 in a regulatory capacity. But what -- what was
11 learned was that no one model did all that well,
12 you know. And, you know, some did well for, you
13 know, the Savannah River Tracer Experiment, some
14 did well for the Oklahoma City Tracer Experiment,
15 but none did well overall.

16 And so we had to move -- then we moved
17 forward, and there was another program in the late
18 '80s -- started in the late '80s called the Rocky
19 Mountain Acid Deposition Model Assessment Project,
20 and that was kind of the -- that bled into then the
21 IWAQM process, you know, Phase I and Phase II. And
22 so in the -- in the Rocky Mountain Acid Deposition
23 Model Assessment Project, what we found was that
24 there were -- basically, they were looking at it --
25 several models. One was called the Acid Rain -- I

1 think it's called ARM3, the Acid Rain Mountain
2 Model -- Mesoscale Model, ARM3; and then the other
3 one was MESOPUFF II, and they used the same
4 organizational strategy and the same metrics
5 largely that came out of the eight-model study that
6 was published in '86, I believe, and MESOPUFF II.
7 They just gave a model, you know, the highest rank
8 if it scored in a particular data organizational
9 category and for a particular metric. And so they
10 just gave -- they just gave a weighting scheme and
11 said, okay, if you were the best-performing model
12 on this metric in this data organization, you get
13 like three points for that. And then ranked it
14 across, you know, each of the different categories
15 and different organizational schemes, and it turned
16 out MESOPUFF II ranked one point higher than ARM3.
17 It was like 23 points and ARM -- you know, ARM3 had
18 22 points. But what was interesting about it was
19 MESOPUFF II did the best when it came to data
20 unpaired in time and space, whereas ARM3 did much
21 better in the spatial sense.

22 And so it got -- you know, it got us to
23 thinking a little bit about, you know, nobody seems
24 to be following a consistent paradigm here, in
25 terms of how we are using these models. And I said

1 one fundamental aspect of it is that, in long-range
2 transport modeling, it is fundamentally different
3 than a near-field model, because you are concerned
4 with the location -- you know, the ability of the
5 model in a spatial sense, whereas in, you know,
6 like, you know, what is being described here, you
7 know, we are un- -- you know, we're looking at
8 unpaired in time and space, you know, as, you know,
9 the operational component of the model for the
10 highest -- you know, the highest end of the
11 distribution of the concentrations. We are not
12 dealing with that in long-range transport.

13 You know, we may be -- you know, we may
14 be doing, you know, increment analysis where we're,
15 you know, concerned about, you know, a value not to
16 be exceeded more than once per year, but at the
17 end, we're still concerned about, A, you know, the
18 ability of the model to be able to predict at a
19 particular location, which, you know, implies a
20 greater skill and spatial sense than what it was.

21 So that was a fundamental that we, you
22 know, saw going back to those old studies, was the
23 fact that there was -- you know, there was no
24 underlying -- didn't appear to be any underlying
25 logic to, you know, the fundamental paradigm the

1 EPA has always, you know, operated under in the --
2 I think it was the 1986 interim procedures document
3 for model performance evaluation, which is the
4 fundamental of evaluating the model in the -- you
5 know, in how it will be used for a regulatory
6 capacity, which we didn't see.

7 So then we move forward to the IWAQM
8 Phase II process, and we basically had two
9 different models. There was the -- well, I guess
10 it was just one model was being looked at, was
11 CALPUFF, but it was -- you know, they were looking
12 at how they were going to supply the meteorology
13 for it. So there was the new ATMOS diagnostic
14 model, and then there was also CALMET. And, you
15 know, there were two different techniques.

16 And so they went back and they looked at
17 the old tracer experiments, you know, the Savannah
18 River and the Oklahoma City Tracer Experiment, and
19 they started using plume fittings statistics, you
20 know, which, you know, crosswind integrated
21 concentration, and then fitting a Gaussian -- you
22 know, basically a Gaussian curve on the 100 and 600
23 km arcs. And so I'm sitting here and I'm going,
24 well, here we go again. You know, it's like, you
25 know, we are not -- we're not evaluating the model,

1 how we use it in a regulatory capacity.

2 And so we just -- you know, so when
3 we -- when it came time to actually redo a
4 perform- -- you know, to redo the performance
5 evaluations, we decided that we had to just take it
6 from the ground up and revisit the logic of how EPA
7 had been evaluating these long-range transport
8 models. And so we went back and started looking at
9 some of the studies that had been done, you know,
10 in like post -- post Chernobyl. You know, there
11 was, like, the atmospheric -- we call it the
12 ATMES-II experiment, which is where they had the --
13 they -- the European community competed however --
14 you know, different models that are used for
15 emergency response purposes, and they evaluated
16 against a, you know, perfluorocarbon tracer
17 experiment called the European Tracer Experiment,
18 or ETEX. And then they had a -- what I felt was a
19 rather coherent set of statistics that were being
20 put out that focused on not only the spatial skill
21 of the model but the ability to look at the model
22 and how well it pairs over the entire distribution
23 of concentration. So you are getting a -- you are
24 getting a much greater sense of how the model does
25 in both spatial scores but also in terms of how

1 it's predicting over the entire range of -- or the
2 entire distribution of concentrations.

3 So when we began going through the model
4 performance evaluation starting in 20-- you know,
5 2008 and ending in 2012, we started with the
6 ATMES-II paradigm. And so the -- to get to the
7 question about, you know, the available -- you
8 know, the available data sets and software was NOAA
9 has on the HYSPLIT website -- publishes a software
10 called the DATEM software, which is their -- and
11 the program is called statmain, and it's the
12 statistical package that they use in order to
13 evaluate HYSPLIT against all the, you know,
14 mesoscale tracer experiments. And we used that and
15 then just, you know, converted -- you know, for
16 each model that was being evaluated, just converted
17 the output into the format that statmain wanted to
18 see so that we could do the, you know, head-to-head
19 model performance evaluation.

20 And the one thing that -- the one unique
21 thing that NOAA came up with was a model comparison
22 metric that in -- was introduced at
23 the -- I think we introduced it at the 10th
24 Conference, which is called the RANK metric, which
25 looks at -- it's a composite metric. It's not

1 based just solely on absolute fractional bias, but
2 it's based on fractional bias, the
3 Kolmogorov-Smirnov pyranometer [sic], Figure of
4 Merit and Space. So it -- you know, it looks
5 across bias, scatter, error, and, you know, spatial
6 scores, and then comp- -- you know, comes up with a
7 composite metric, then you can -- you can compare
8 one model against another to just, you know, get a
9 better idea of how it's -- you know, how it's --
10 you know, one ranks against another, instead of
11 just being -- focusing on one particular statistic
12 being fractional bias.

13 And so, you know, the -- so we felt that
14 that was probably the best paradigm that we had
15 seen, in terms of how models were being evaluated
16 in the long-range transport category. And so we
17 adopted that approach to doing that.

18 And one of the things we learned coming
19 out of it was even that metric had its problems,
20 because when you started digging under the hood,
21 and you started seeing why is one model performing
22 one way versus another, we started finding some
23 interesting things. And one of them was, some
24 models did extremely well on the spatial scores,
25 but they did very poor on, you know, we will say,

1 like, the scatter. And some models actually were
2 in -- you know, in the mid to upper rankings, but
3 they had extremely low spatial scores.

4 And so you go and you look at it, and
5 you find out, oh, well, it's -- it's the fraction
6 -- they are doing well on fractional bias, because
7 it's extreme -- they have an extremely low
8 fractional bias. Well, how can you have a poor
9 spatial score and have a really good fractional
10 bias? Because your observations and your model
11 predictions are 180 degrees out of phase with each
12 other, and so when you come up with the metric, it
13 turns out to be a 0, and so they score extremely
14 high. And so that was kind of nonsensical. And so
15 what we ended up doing was we ended up breaking up
16 that RANK metric and redoing it.

17 And so what we did was we rewrote the
18 software so that it would compute fractional error
19 as kind of the absolute major of error, and then
20 there was a -- this goes, I think, to when Erwin
21 was pushing the ASTM method -- the ASTM method
22 has -- you know, has a lot of statistics associated
23 with it, but one of the things that was introduced,
24 I think as a paper that was written in 2004 by
25 Chang and Hanna, was the breaking up fractional

1 bias into a two-dimensional figure. So you have
2 fractional bias false positive and fractional bias
3 false negative.

4 And so you start getting a handle on the
5 directionality of the error. Is it more prone to,
6 you know, overpredict versus underpredict? Because
7 that's another fundamental paradigm in the EPA, you
8 know, when you are talking about meeting Section
9 3.2.2 requirements, is that models cannot be biased
10 towards underprediction. But the statistics that
11 we were using, you couldn't get at that. You know,
12 you couldn't understand whether it was
13 overpredicting or underpredicting because of how
14 the RANK metric was, you know, formulated. And so
15 we recast the RANK metric.

16 And so you had absolute -- you know, you
17 had fractional error as your -- you know, your
18 gross error statistic, and fractional bias false
19 positive to give you a measure of how well the
20 model performs, you know, in -- you know, in terms
21 of its degree of overprediction. So even if a
22 model had a very low fractional bias false
23 positive, meaning if it, you know, was -- it was
24 either following the one-to-one line fairly well,
25 or it's just completely off and it's, you know, in

1 the false negative category, what happens is the
2 fractional error penalizes the model for, you know,
3 just absolute error, even though the false positive
4 might be -- you know, your fractional bias false
5 positive
6 might -- you know, might have a decent score
7 associated with it.

8 So moving forward -- now, I'm done
9 here -- but moving forward, I think the -- I think
10 the key is that -- you know, is to have EPA -- if
11 EPA does go the route of, you know, putting
12 another, you know, model in the long-range
13 transport category back into the Guideline at some
14 point, or, you know, whatever -- whether it's, you
15 know, just doing a -- you know, an alternative
16 models demonstration for whatever model, you know,
17 for an increment value -- for a cumulative
18 increment evaluation, these are the things that I
19 need -- you know, that I wanted to stress to EPA,
20 was the fact that the evaluation para- -- the 2012
21 report was probably the best evaluation paradigm
22 you are going to find out there, and that -- you
23 know, that's one that, you know, has been widely
24 published, and I think it's one that makes the most
25 sense, from a regulatory standpoint, because of how

1 the models are used in a regulatory capacity,
2 because spatial skill of the model is extremely
3 important for long-range transport purposes, and
4 working across the entire distribution of
5 concentrations.

6 Now, you know, for EPA's purposes, you
7 are talking about, you know, peak value, you know,
8 as far as, you know, not to exceed an increment
9 more than once per year for a short-term standard.
10 But on the long-range transport side from the FLM
11 perspective, we're concerned about the -- you know,
12 the long-term concentrations and the ability of the
13 model to -- you know, to predict with some degree
14 of accuracy over the entire distribution of the
15 concentrations, because we are also concerned about
16 chemical transformation and deposition. So we
17 have -- you know, so we have particular concern --
18 you know, have a vested interest in making sure
19 that whatever model EPA does recommend in the
20 long-range transport category, that it, you know,
21 has -- that it is the best-performing model for --
22 you know, for that category for the right reasons.

23 And so I think, you know, like when you
24 ask -- you know, James, when you ask the question
25 about the key features of the model evaluation data

1 sets, there is just so few of them. You know,
2 there is like -- there is only, what, maybe half a
3 dozen mesoscale tracer experiments, and I think
4 everybody knows the names of them. You know, there
5 might be a few newer ones, you know, beyond ETEX.
6 I think, you know, the Park Service had a broader
7 study where they were doing some tracer releases
8 from power plants down in Texas that, you know,
9 could be used, but there just isn't a lot of data
10 sets that are out there for, you know, model
11 evaluation purposes.

12 And so I -- you know, I think, you know,
13 finding -- you know, if EPA does go the route, I
14 think doing something similar to what you do for
15 the AERMOD data sets or the near-field data sets of
16 actually having a central repository where people
17 could download them, and that there is coherent
18 guidance available to folks on how to evaluate, you
19 know, a long-range transport model for regulatory
20 purposes. I think that would go a long way,
21 because that's what -- I think where we have
22 suffered the most has been just that lack of -- the
23 lack of coherence in, you know, the paradigm that
24 is used in whether or not it is actually
25 suitable -- you know, it's a suitable test of a

1 model in a regulatory capacity.

2 And so those are my two sales pitches
3 for, you know, that is to just, you know, focus --
4 if you go that route, focus on getting a central
5 repository for the data, have a recommended
6 software package that you use to do the performance
7 statistics, and make sure that the package covers
8 this -- you know, the statistical metrics that are
9 important for, you know, long-range transport. So
10 with that, I will go ahead and shut up.

11 MR. THURMAN: Thank you, Bret. You
12 didn't mention CALMET. George mentioned a
13 surprise -- while I get ready here.

14 (Pause.)

15 MR. THURMAN: George mentioned a
16 surprise. Surprise, Tyler here. And also, we have
17 the charge questions of panelists I will hand out,
18 as George mentioned. Make sure you get their
19 autograph before you leave.

20 Next up -- I'm sorry. Let me introduce
21 you. Sorry. Next up is Mark Garrison. He's got a
22 presentation.

23 MR. GARRISON: I'm Mark Garrison, in
24 case you didn't hear. I first wanted to thank EPA
25 for inviting me to be a participant in this. I

1 think, my perspective, the panel format has been
2 very successful. I really think it's a good way to
3 go with these. And, you know, I think I also want
4 to thank Dean for the selection of panelists, which
5 turned out to be very fortuitous, because I know
6 absolutely nothing about Charge Question Number 3,
7 and of course Bret has covered that very well. So
8 I'm gonna focus on Charge Numbers 1, 2, and part of
9 4, and I'm gonna stray a little bit into met
10 evaluation, because of the discussion we had
11 yesterday about the evaluation of WRF data and its
12 suitability.

13 So I am going to cover several things.
14 One is why is evaluation important and why is it so
15 hard? Little bit about Appendix W, Section
16 3.2.2.b, I'm going to focus on in this time.

17 The starting point of the Cox-Tikvart
18 procedure, which was originally a 1990 Atmospheric
19 Environment article, and then made its way into the
20 1992 Protocol, which has been sort of the Bible for
21 doing this kind of analysis for the past 30 or so
22 years. And James did provide a quick summary of
23 that, and I will take a little bit of time to
24 amplify that in just a bit.

25 I'm going to talk about looking,

1 probing, thinking, and understanding before you
2 leap -- before you leap into statistics, as a way
3 of examining the data sets that you are going to
4 perform the evaluation on, understand them, their
5 limitations, their strengths, before you get to the
6 statistical part.

7 I will provide some illustrations of
8 what I'm talking about. A lot of color plots,
9 which I hope are meaningful and not just a pretty
10 picture, but I will let you guys be the judge of
11 that. And I have some concluding remarks.

12 Over my long career as an air quality
13 modeler, from the time that I ran the VALLEY model
14 on my abacus through the time graduating to the
15 slide rule, and then to the mainframe, and then to
16 a 200-pound portable computer, to a series of work
17 stations and laptops, until today when we,
18 apparently, can run AERMOD on your watch, as I
19 understand, the question about modeling has been
20 asked and answered many, many times, and I think
21 it's important to keep asking that question and try
22 to keep answering it in the best way we can.

23 Obviously, it's important for a couple
24 of reasons. Individual cases with unique
25 characteristics, you might need a different

1 approach to a model. It's also important for
2 advancing new and potentially improved techniques
3 through the ALPHA/BETA regulatory process, which I
4 think also is a good way to frame things. And, you
5 know, we can have discussions about how fast it
6 takes -- you know, how long it takes and what it
7 takes to go through that process. That's -- that's
8 another reason why model evaluation is important.

9 Well, why is it so hard? I mean, you
10 have a model prediction, the monitor measurements.
11 If they agree, it's good; if they don't agree, it's
12 bad. There are a number of reasons why it's so
13 hard. Dispersion is essentially a stochastic
14 process, which means that it's essentially
15 predictable as ensemble averages, but not for
16 individual hours and paired in time and space. And
17 that is a source of the -- or inability, I guess,
18 to match model and monitor values in time and
19 space.

20 Now, the AERMOD interface, which is an
21 internal routine in AERMOD that creates a complete
22 profile of turbulence, temperature, and winds up to
23 4,000 meters is a good thing, because it does allow
24 for looking at layer averages of parameters instead
25 of single-point averages, but it also cannot

1 account for changes in wind, temperature, and
2 turbulence over time and space.

3 Number of other reasons why it's hard.
4 Regulatory use of models is, obviously, frequently
5 focused on the upper end of concentration
6 distribution where the uncertainties lurk most
7 prominently. Monitoring is expensive, and data
8 sets with long-term measurements frequently don't
9 have any coverage to evaluate concentration
10 gradients. So you take a look at the data sets we
11 have used over the years, most of them are -- some
12 of them are 1970s, some are 1980s, and it's -- you
13 know, you keep using them, and they are all
14 SO₂-based data sets, which make things a little bit
15 easier, but it's -- again, monitoring is expensive,
16 and we don't have enough monitoring and enough
17 measurements, that is, to really satisfy the
18 evaluation niche.

19 Source characterizations and emissions
20 reports are not always available on an hourly
21 basis, and they have their own degree of
22 uncertainties. It's a lot easier for SO₂, a
23 baseload plant. Sulfur goes in, SO₂ comes out.
24 And it's really not -- again, it's a lot easier to
25 characterize emissions for SO₂. There is a

1 particular challenge with NO_x, as I said, because
2 the whole business of what is the in-stack ratio
3 between NO₂ and NO_x, and what is
4 the -- you know, NO_x is obviously subject to
5 transformation in the atmosphere, which we try to
6 simulate.

7 Well, if it's so darn hard, what are we
8 to do? I guess one answer is, well, let's just
9 give up and do something simple and make sure we
10 make no large mistakes. Apologies to Venky for
11 stealing your solution to downwash.

12 But, actually, looking in a more serious
13 vein, I wanted to talk a little about Section
14 3.2.2.b(2), which is the place where model is the
15 most common goal. Not going to read this. It's in
16 Appendix W. This is a source of the requirement to
17 do a statistical evaluation, and it's also a source
18 of a very important word "better," where in order
19 to get an alternative model approved, it needs to
20 be shown to be better than the applicable Appendix
21 A model.

22 And then for that statistical
23 evaluation, there is reference to the Cox-Tikvart
24 protocol from 1992. There is also -- I just
25 learned last night, that Reference 28 is actually

1 ASTM guidance for standard statistical evaluation
2 of atmospheric dispersion model performance. I
3 think Bret mentioned this in his talk. So I sort
4 of scoured the internet last night and paid \$56 to
5 buy it, but I did. So I read through it real
6 quick, and I got lost. There are some -- a lot of
7 statistics, but I think, to me, the one emphasis
8 that is in that document is -- I don't know the
9 best way to express it -- understand your database.
10 In other words, you know, look, probe, think, and
11 understand your data set before you decide how you
12 are going to evaluate it statistically.

13 The starting point, as James summarized
14 in his introduction, is the 1992 Protocol, which
15 just kind of follows the techniques outlined in the
16 Atmospheric Environment paper. And it talks about
17 a screening set, where you try to screen out the
18 models that just have no chance of making it. It's
19 often skipped and kind of go right to the sort of
20 full-scale scientific operational parts.

21 The scientific part, again, is focused
22 on one-hour concentrations at each monitor,
23 different met conditions. The operational is
24 focused on so-called design concentrations for
25 3-hour and 24-hour. The test statistic that is

1 used throughout all of these is the robust high
2 concentration. It's actually my favorite
3 statistic, because it's easy to understand. If you
4 create a ratio of the RHC for predictions to RHC
5 for observations, again, it's pretty easy to
6 understand. If it's 1, it's great; if it's greater
7 than 1, one verdict; if it's less than 1, another
8 verdict.

9 It is the basic building block of
10 everything that comes next. In other words, the
11 fractional bias, absolute fractional bias, the
12 composite measure, the model comparison measure
13 that James summarized, basically all rely on robust
14 high concentration predictions from the various
15 parts of the data set. And there is a bootstrap --
16 bootstrap procedure that is used or can be used to
17 calculate significance levels, significance
18 intervals, where you create many hundreds of
19 thousands of realization bootstrap years by
20 resetting the data set, so described every three
21 days, and then doing the robust high concentration
22 on each of those -- each of those 100 or 1,000 data
23 sets.

24 Well, I'm personally an opponent of
25 Monte Carlo-type, bootstrap-type techniques for

1 evaluating intermittent emission sources. I'm
2 not -- well, probably because I don't completely
3 understand, but I'm not a big fan of this bootstrap
4 technique. I think, when you sample many, many
5 times, you sort of amplify the -- some of the
6 uncertainties that are in the data set, because you
7 end up with a number of bootstrap years that may
8 contain none of the high values, and how should
9 those fit into the overall statistics? So again, I
10 will say, I'm not a statistician, and if I tried to
11 explain in more detail what all of this -- all of
12 these statistics, how they are calculated, it will
13 become obvious pretty quickly that I'm not a
14 statistician, but for the focus from here on in is
15 my favorite metric, the one I can understand, which
16 is the robust high concentration.

17 So my only, sort of, specific comment --
18 I guess there are two comments on the 1992
19 protocol -- is we do now have one hour of NAAQS,
20 National Ambient Air Quality Standards, for SO₂ and
21 NO₂. My thought is that the one-hour value should
22 be used in an operational sense in addition to, not
23 in place of, the specific evaluation. And
24 consideration should be given to the form of that
25 standard in deciding how to set up the statistics,

1 how to set up the paired- or unpaired-in-space
2 forms of the RHC.

3 So my -- this is my look, probe, think,
4 understand before you leap section. The objective
5 is to ensure that different parts of the data set
6 are thoroughly understood before deciding how to
7 construct the statistical performance.

8 Things to look at. The robust high
9 concentration. How well is it predicted? Looking
10 at the QQ plots and how well is it being -- robust
11 high concentrations are performed? Do we need to
12 choose a different N other than 26? Does it make
13 sense to create the distributions based on the max
14 data concentrations instead of -- the absolute
15 guides might have several hours from a single day
16 as part of the distribution. And again, you know,
17 I think -- I want to emphasize that this is -- this
18 is, you know, not -- this kind of evaluation is not
19 meant to place or displace the statistical
20 evaluation and the scientific evaluation, just
21 something to do before setting up the statistics.

22 Diurnal patterns can sometimes tell you
23 what we want. How the model is doing compared to
24 the measurements. I will show you illustrations
25 later. The met conditions. What are the met

1 conditions that are associated with the high
2 predicted concentrations? How do they compare to
3 the met conditions that are associated with the
4 high observed concentrations? Obviously, if they
5 are in the same range, that's a good thing. Met
6 conditions -- you know, the met conditions,
7 themselves, you know, are there low wind speeds?
8 Is the -- do you need to think about travel time?
9 Is there enough distance between the source and the
10 monitors under low-wind conditions that it takes
11 more than an hour to get there? Is that something
12 we should consider in setting up the statistics and
13 figuring out which -- you know, how exactly to set
14 up the redistributions to input to the statistics?

15 And then the spatial distribution of the
16 measurements, but also the predictions. I have
17 seen a couple of studies -- Allegheny County is
18 one -- where a small set of receptors around each
19 monitor is used to calculate the statistics,
20 instead of a single -- single receptacle. And I
21 will show a little bit later that looking at the
22 spatial distribution can help you understand what
23 it looks like and whether or not you should include
24 a set of receptors around each monitored location.

25 I am gonna use a couple of the data sets

1 for the illustrations I am talking about here. One
2 is -- probably familiar to many of you is the
3 Martins Creek Power Plant data set. The two --
4 1993, two coal-fired power plants and one oil --
5 excuse me, two coal-fired units and one oil-fired
6 unit. This is a picture of the plant as it existed
7 back then. The plant has been -- since been
8 demolished. There is a combustion turbine facility
9 operation at that location. In the background, of
10 course, you could see Scotts Mountain, which is the
11 complex terrain that's involved in the study where
12 the measurement stations were located.

13 This is a depiction of the terrain, very
14 complex. The SO₂ stations, there were seven of
15 them up on Scotts Mountain. The meteorological
16 data was collected from a 10-meter tower and winds
17 from a Doppler SODAR. The 10-meter tower included
18 SIGMA-V. It didn't include any turbines. There
19 were no temperature gradients that would be used to
20 evaluate that stability.

21 This is a QQ plot of -- this is actually
22 from a study that we did a couple of years ago with
23 Model 6 -- 16216r. That's not an -- that's not an
24 acronym. What do you call it, a palindrome, so I
25 have a hard time remembering it. Anyway, we are

1 looking at different options within AERMOD, ADJ U*
2 at that time to LOWWIND3 at that time and
3 combinations of those two.

4 This is the case where the relative high
5 concentration behaves pretty well, in terms of
6 describing the distribution. You can see at the
7 bottom this is the -- again, my favorite
8 statistic -- the relative high -- robust high
9 concentration ratio predicted to observe, and for
10 the ADJ U* -- the default model for the ADJ U* and
11 ADJ -- the default model -- excuse me. I'm sorry.
12 ADJ U* with LOWWIND3 that could predict it pretty
13 well, the robust high concentration ratio was about
14 1. A little bit of overproduction with the other
15 ones.

16 This is what I mean when it could be
17 invaluable to look at a diagonal pattern. You
18 don't need to pay attention to all the colors
19 except for the orange colors where the pink is sort
20 of around 10:00 in the morning, and at night
21 concentrations tend to be much lower, and the other
22 bigger bars are the modeled concentrations where
23 all of the highest concentrations are at --
24 concentrations are at night, and has difficulty
25 keeping up with the measurements during the

1 daytime. What this would tell me is that there
2 might be some issue going on with meander at night;
3 low wind speeds, complex terrain, takes a little
4 more than an hour for the plume to get to 2 and to
5 the monitors. This, I think, would be ripe for
6 using one of the ALPHA options. I'm not sure if
7 meander is now something you can adjust in the
8 ALPHA option, but whether it is or isn't, I think
9 this would be ripe for testing and a different way
10 of calculating meander at nighttime conditions.
11 This would almost lead me to think that, you know,
12 without some further work and without some further
13 evaluation, that this would not be the best data
14 set for all the evaluation.

15 Couple of slides. Basically scattered
16 plots of different parameters. This is u^* . From
17 AERMOD during the top, I think it's 40 or so hours
18 when AERMOD predicted the highest concentrations,
19 and then the top u^* value is from the top measured
20 concentrations. Obviously, not a lot of
21 correlation, but if you're generous to the data
22 points, that there does seem to be some cluster
23 here. Does seem to be a consistency between the
24 two. I think the same can be said for
25 Monin-Obukhov length. Again, not a lot of

1 correlation, but some clustering that would seem to
2 indicate a relatively small range within which the
3 model predicts the Monin-Obukhov length and the
4 model prediction high concentration, and the
5 Monin-Obukhov length when the measurements are
6 taken -- or the measurements are high.

7 Wind speed. A lot of, you know, very
8 low wind speed cases in the observed data and with
9 AERMOD, again, leading to some question or at least
10 some need to investigate the meander compound with
11 the AERMOD. So this is the kind of thing that I
12 think can help you -- help you understand the data
13 set, itself, and help you formulate ways in which
14 the scientific evaluation, especially, can proceed.

15 I'm not asking you to read all these
16 numbers. The -- this is just a way of looking at
17 the combined measurement set that you would use in
18 the RHC calculation and the QQ plots. Each
19 individual station is shown with its individual.
20 If you take all the data and just lump it into one
21 bin, and sort that bin, you end up with
22 concentration -- measured concentration values,
23 many of which with the highest value at the
24 respective monitor. So what you need to do instead
25 is look across the first high values, take the --

1 take the highest of those. Look across the second
2 high values, take the highest of those to create or
3 to generate your distribution, and then apply the
4 RHC to -- you even do the same thing for the model,
5 of course, because the model will have the same
6 kind of characteristics that has high
7 concentrations at each of the monitors at different
8 times. But if you lump it all into one bin and
9 sort that, then you end up with something that is
10 not right.

11 Again, lot of small numbers. I won't
12 ask you to read all of these, but this is simply a
13 look at the profile and surface data during a time
14 when the highest concentration out of the entire
15 data set is observed at one of the monitors. The
16 -- I mentioned the data set consists of a 10-meter
17 tower and winds from a SODAR. As you can see from
18 the example -- you may not be able to see it, but
19 the winds at 10 meters were missing, sigma-theta
20 was available at 10 meters, no turbulence
21 parameters were attempted from the SODAR,
22 fortunately. But as you can see -- I will tell you
23 that the wind direction changes significant in
24 height, and once it was up near the plume height,
25 it started to actually show the direction was in

1 the direction of the monitors. The speeds were
2 uniformly level all the way up. That's the 1 meter
3 per second. Again, I'm getting back to the
4 potential for looking at some sort of different way
5 of characterizing meander.

6 Again, keeping with Martins Creek, these
7 are the observed designed values, each of the seven
8 monitors on Scotts Mountain. Fairly -- you know,
9 I'd say some higher concentrations at higher
10 elevations, but a fairly broad distribution of
11 these values. And I have taken a look at some
12 individual model predictions of these -- at these
13 monitors. Well, actually, not necessarily at these
14 monitors, but at the grid surrounding the monitors.
15 And AERMOD does have a tendency to predict fairly
16 narrow plumes under low-wind speeds.

17 This -- these spots are created for the
18 different model combinations that if we looked at
19 based on a grid of receptors on Scotts Mountain,
20 not just individual points at the monitor
21 locations. And I think that this -- what this
22 shows is that, you know, for the cases where AERMOD
23 was not successful in predicting the high
24 concentration at the monitor, there is an equally
25 high concentration nearby. And you ask yourself,

1 well, is it fair to call that okay? I think there
2 is some argument that can say, especially for a low
3 wind, potential meandering conditions, is that
4 maybe you should take a look at the spatial
5 distributions in addition to the concentrations at
6 the monitors.

7 Turning to Tracy data set, which James
8 mentioned was a tracer -- tracer data set at Tracy
9 in Nevada. A coal-fired power plant, that that was
10 a tracer experiment, so it wasn't SF2, it was SF6.
11 128 hours, mostly at night. A lot of receptors
12 located all over the mountains surrounding the
13 facility, which looks like plenty of receptor
14 locations, until you take a look at the potential
15 extent of the plume that is predicted by AERMOD.
16 This is, again, developed from 100-meter grid
17 spacing across the domain. And this was -- these
18 are examples of a couple of the hours out of the
19 128 hours. It's hard to see, I know, from the
20 audience, but what it says is that frequently there
21 is an equivalent or a higher concentration in the
22 vicinity of some of these tracer measurement
23 locations that might be legitimate to look at in
24 terms of the evaluation and of the statistics,
25 themselves.

1 Tracy is another one where the QQ plot
2 with a relative high concentration follows the
3 pattern of the QQ plot fairly well, and, you know,
4 we are able to, you know -- personally, I think
5 that this type of evaluation and the calculations
6 of the statistic, the RHC ratio, is a -- is a
7 powerful indicator that the model is doing well.

8 I'm going to turn to a discussion of met
9 evaluation. Not exactly part of this panel's
10 charge, but we had a discussion yesterday about,
11 you know, validating or evaluating a WRF data set
12 and their potential use for regulatory modeling.

13 This was a concept we were involved in a
14 couple of years ago -- a few years ago, I think, at
15 this point -- where a source in very complex
16 terrain had no on-site data. We took a stab at
17 running WRF at 150-meter resolution. When we do
18 that, over on the left side of this picture, this
19 is the -- what WRF sees, in terms of what the
20 terrain shows at 150 meters. The right side of
21 this picture is actual terrain elevations. So at
22 least from a terrain perspective, WRF is seeing
23 what it needs to see at this.

24 The thing that has always struck me
25 about this case is that, if you look at wind roses

1 at each of the 150-meter cell locations, you can
2 see the channeling down at the bottom of the model,
3 you can see that channeling kind of disappears as
4 you go up and over the ridge, you can see the wind
5 speed increases over the ridge. These are 10-meter
6 wind roses. These are 120-meter wind roses. You
7 can start to see the channeling fade a little bit.
8 And when you get up to 240-meter, the pattern looks
9 like sort of what the pattern in that area of the
10 country looks like generally outside of the
11 influence of terrain.

12 We did do some statistical comparisons
13 of WRF for this project. Obviously, the
14 statistical comparisons were made for airports far
15 outside of this 110-meter -- 150-meter domain, but
16 the point of that is, I think, you know, that if we
17 are able to show good -- good performance there, at
18 least we have the physics -- the choices of physics
19 options pretty much -- pretty well. That, coupled
20 with illustrations like this, I think, are one way
21 to look at this. So you don't rely on the
22 statistics alone, but you allow illustrations like
23 this to help inform whether or not this is a good
24 choice for the project. The project is out on
25 hold, unfortunately. We didn't really pursue it,

1 but we did talk to George briefly about this, if I
2 remember -- it's three years ago. We even got a
3 relatively favorable response, but we didn't
4 actually get to the point of completing it.

5 In conclusion. My thoughts on Charge
6 Question Number 1. I think it's important to
7 incorporate 1-hour concentrations into the
8 operation -- operational part of the evaluation,
9 because we do have standards for 1-hour, 3-, and
10 24-hour standards. It's still important to look at
11 those averaging periods, but they are no longer the
12 controlling averaging periods. They are no longer
13 the averaging periods that we make decisions on.

14 Look, probe, think, understand before
15 you leap. Looking at the robust high concentration
16 as appropriate, and possibly adjusting in if you
17 need to to -- I guess the way I look at it is, if
18 you are -- if your robust high concentration
19 matches the design concentration well, what that
20 means to me is that the upper end of the
21 distribution is well behaved enough that the design
22 concentration, itself, is a good measure of model
23 performance and comparing design concentrations in
24 that way. It's a good thing to do.

25 Alternative ways to conduct scientific

1 evaluations, including looking at met conditions
2 underpredicted and observed values. Considering
3 met conditions and the spatial distribution, which
4 is always a useful tool in any evaluation, and
5 possibly using an expanded receptor set as
6 appropriate.

7 For tracer and episodic data sets, I
8 think it's still appropriate to use tools like QQ
9 plots and robust high concentration evaluations.
10 Obviously, you can't go to the operational side of
11 it, because it's a limited time scale, and there
12 really are no concentrations that you would
13 determine to be, you know, part of the
14 decision-making process.

15 Charge Question 2, which I forget what
16 the question was, but it relates to all of the
17 above. I think those are maybe possibly
18 alternative ways of doing things. These are not
19 alternative statistics. They are just alternative
20 ways of thinking about statistics.

21 And Charge Question Number 4. What are
22 the characteristics of the data set? I think it's,
23 you know, pretty evident that from long-term data
24 sets there is a wish list, and that is good monitor
25 coverage; onsite met, preferably a tall tower with

1 temperature gradients and turbulence; well-defined
2 source characteristics; and emissions on an hourly
3 basis.

4 And episodic wish list. Obviously, more
5 of a dense monitor coverage, met conditions of
6 interest with stable conditions are what you are
7 looking at to evaluate, then maybe need to do that
8 only at night. And I think -- I think it was Bob
9 that mentioned that, for those types of data sets,
10 you may -- might be a legitimate thing to adjust
11 some of the inputs to match what you see. And I
12 believe that's it.

13 MR. THURMAN: Thanks, Mark. We will
14 move on to Erik. And now we will listen to remarks
15 from Erik.

16 MR. SNYDER: Okay. And I will provide,
17 maybe, Region 6, and I do both photochemical and
18 permit modeling, so I will kind of provide maybe a
19 little different perspective as well.

20 First thing I think is just, you know,
21 one of the old classics is all models are imperfect
22 but some are useful. And so I think, from the
23 standpoint of model performance, you know, that's
24 the key thing, is figuring out what it's used --
25 what models are useful and what -- under what

1 conditions and what analysis, what policy questions
2 you are trying to answer.

3 You know, in PSD modeling for NAAQS, you
4 are looking for the high distribution, so
5 Cox-Tikvart has been a good mechanism to try to
6 look at that. There is refinements that can be
7 done, but I think as you look at the use of AERMOD
8 or other models in other aspects, you know, when
9 you are answering -- looking at toxics exposure,
10 long-term toxics, or if you are looking at monitor
11 siting for SO₂, there are some different, you know
12 -- different paradigms, as far as you are looking
13 for different policy question and answer to try to
14 resolve the technical issue before you decide to
15 monitor, or you know, is this neighborhood a risk
16 level. And in risk level, you might be more
17 interested in spatial accuracy versus temporal
18 accuracy. You know, you look at both of those
19 issues.

20 And so I think the key thing is is that
21 each time you look at stuff, you need to start back
22 and say, okay -- I think it's good periodically to
23 look at things and say, okay, what are we trying to
24 get? What answers are we trying to get with this
25 model system? What are going to be the best ways

1 to look at it? Is it going to be just look at the
2 high distribution, is it going to be look at the
3 high/moderate distributions, is it spatially -- is
4 spatial issues more important than temporal, or is
5 spatial and temporal both, or do those matter? So
6 I think the thing is is -- and I will mention a
7 couple of different analyses and how that varies.

8 For one we did, we worked on one of the
9 first MMIF uses in redesignation per area, and that
10 was designation in Arkansas. And from that
11 perspective, you know, when you are looking at it,
12 we looked at the evaluation of the MMIF data within
13 the state of Arkansas and with the met stations we
14 had, surface and some other air data in Little Rock
15 and I think in Memphis. And so -- but we weren't
16 as concerned about humidity or temperature bias
17 issues as we were about wind speed and wind
18 direction issues and atmospheric profile. And so
19 from that perspective, you know, on the
20 photochemical side, when you do met analysis, you
21 focus on temperature as well, because of those
22 impacts to mobile emissions are pretty great
23 biogenics, you know.

24 I think the issue is that first
25 understand what kind of policy questions you are

1 trying to answer and technical issues, and then
2 customize your statistical analysis, and your
3 metrics, and spatial analyses that you look at.
4 And so -- I mean, that, on the toxic side is a
5 totally different -- building long-term exposure to
6 certain toxins it's a totally different question.

7 And so, you know, when you look at the
8 models, I think Bret mentioned, as far as some time
9 in the past, the shotgun approach. I think in some
10 ways it's good to do. You know, look at
11 everything. But I think, at the same time, you
12 also want to make sure you're focusing on the key
13 things. And then the other thing is is how you --
14 if you come up with the RANK metric in between to
15 try to measure things, you need to kind of
16 customize that to the problem you are trying to
17 solve and address as well. I think that, in
18 general, is one of the big things on -- you know,
19 WRF for ozone modeling or photochemical modeling we
20 look at a lot of different things comparatively,
21 compared to MMIF where you are just looking to
22 stuff -- to the met station.

23 I would say that one of the things we
24 looked at to try to validate, you know, for air, is
25 we looked at data profiles and moisture and then

1 tried to figure out where we were getting boundary
2 level some days and some of the critical days in
3 the model -- modeling period -- critical models
4 primarily. Make sure we are getting those at least
5 as accurate -- I mean, try to help them get fairly
6 good performance on that. Never perfect, as I
7 said.

8 I would say, you know, the '92 cup- --
9 '92 document does give you quite a bit of basis,
10 and we've used that for quite a while, but did go
11 back and look, and there is a number of documents
12 on model evaluation in the mid '80s, '84 and '85,
13 that talked about it and kind of looked at it from
14 the bigger principle. Again, not just looking at
15 it for one purpose only. Trying to say, okay, what
16 are you trying to get to?

17 And so I would -- as this idea, if we
18 are going to revisit Cox-Tikvart or long-range
19 analyses techniques in the future and what to focus
20 on, I think that's going back to some basic
21 principles, like -- I do, you know -- sorry. I
22 mean, one of the things from the ozone world, I
23 would say, you know, we look -- one of the things
24 that we look at -- and this -- there is a lot of
25 different metrics to look at on ozone just related

1 to time and space, specifically. Look at QQ plots,
2 you know, both unpaired and time/space paired, and
3 so it's got its flaws for certain -- when you are
4 looking at some of the subspecies and time series.
5 So you are not gonna do all that, necessarily, but
6 I would say that one of the -- doing the QQ paired
7 in time and paired in space, and paired in time and
8 space give you some -- can you give you some
9 information as far as how the model is performing.

10 I would say that, you know, I think, as
11 we move forward, and I give the example on the MMIF
12 situation we did with Arkansas, we worked with the
13 EPA, we worked out a protocol with the applicant on
14 how to -- what statistics we look at, what graphics
15 to provide. And so I think the first step -- first
16 figure out what the problem is you are trying to
17 assess, develop a protocol, I mean, to do that, and
18 then work through it, and, you know, sometimes you
19 look at the data and there is adjustments and
20 different things you want to look at, but that's
21 how you get to it. And I think -- I mean, that's
22 the current framework. We are pretty open on that
23 for -- you know, it depends on -- you know, within
24 AERMOD, specifically, I mean, we have got specific
25 targets we are looking at, but I would say, you

1 know, for increment, and like significant, the
2 thing is we use the increment, like if you have an
3 increment exceeds, you go back and look spatially
4 and temporally in time, okay, what sources are
5 impacting that, and you know, is this source
6 getting permanent impacting? So you go and you're
7 using models in want in space and time. So that's
8 where I would say that, you know, assessing AERMOD
9 with the space and time is set to get some
10 benchmarks and how we are doing this, and the
11 adjustments are being made in the model to see how
12 those change as well. And, I mean, not just the
13 concentration on getting the max. It could be
14 beneficial. I don't think it's going to perform --
15 you know, everything -- as you scope down in your
16 analysis to find your space and time, trying to
17 replicate it, that's where you get more uncertainty
18 from the standpoint you are just not going to be as
19 accurate all the time. We have to try to, I think,
20 start analyzing that somewhat to -- that's just,
21 kind of, my opinion, to analyze it and set where we
22 are now and how we can define that in the future as
23 well, because that is critical sometimes with
24 facilities getting permits. So I think that's
25 pretty much what I had on 1 and 2.

1 I do think, on 4, I would say -- you
2 know, I would echo a lot of the comments earlier.
3 I would also say that, you know, there has been a
4 lot of -- lot of field studies done and by --
5 there's been DOD work and Homeland Security things,
6 and some of that -- I don't know how much of that
7 ability we have on getting that data to be able to
8 be used, but I think it would be good to do a --
9 you know, a new inventory of the data sets and see
10 if there are some other data sets that could help
11 improve what we use in the analysis.

12 And I think that if you look at those
13 and you also characterize, okay, what data do you
14 have? Is it long-range? Is it near-field? Is
15 it -- what is the main strengths of it that you
16 have, and weaknesses, and what type of analysis
17 could you use it for? Is it more geared towards
18 the max or more geared towards the
19 spatial/temporal?

20 So -- I think that's pretty much my
21 comments. It's -- you know, it would be nice to
22 have more data sets, more modeling, data sets to
23 evaluate with, but money is always an option to
24 deal with. It's not easy.

25 MR. THURMAN: Okay. We want to thank

1 the panelists for their comments and presentations.
2 We have time for a few questions.

3 Just state your name and affiliation.

4 MR. PORTER: Matt Porter,
5 North Carolina DEQ. I guess, in general, my
6 question -- or maybe point of clarification -- is
7 what part of the Cox-Tikvart model performance
8 evaluation addresses negative emission rates? I
9 guess that would, you know, come into play for
10 increment, or SILs modeling when you are trying to
11 take advantage of some base case and identify
12 spatially and temporally where you can refine your
13 emission inventories and things. But it would seem
14 to me that the lower-end distribution of model
15 performance would be important for handling
16 negative emission rate impacts or negative impacts.

17 MR. GARRISON: Is this on? Can you hear
18 me now? That is an interesting question. Quite
19 frankly, not one I have really thought about, but
20 it seems to me that what that gets to is needing to
21 be accurate in space and time, because if you're
22 modeling a negative emission rate at the same time
23 it's modeling a positive emission rate, you want to
24 be sure that, at that time and at that location,
25 that both are being modeled correctly. So I don't

1 think the design necessarily matters, in terms of
2 how that goes into modeling evaluations, because it
3 would have a negative 10 grams per second. And you
4 know in your model evaluation that a positive 10
5 grams per second does -- the model does pretty
6 well. So I think that part is covered. But again,
7 I think it's -- it gets to the question more of
8 accuracy paired in time and space, and that's
9 unfortunately where the models seem to break down a
10 little bit. I honestly hadn't thought of that
11 question before. Thank you for bringing it up.

12 MR. THURMAN: Any other questions?
13 Going once?

14 MR. PAINE: Mark, you had mentioned --
15 this is Bob Paine at AECOM. Mark, you mentioned
16 with the new one-hour standards with a form that is
17 not the highest anymore, that the Cox-Tikvart
18 method, as implemented, should incorporate a lower
19 than 100th percentile percentile, and maybe one way
20 to do that -- and the panel can comment -- is that,
21 for example, for the SO₂, do the robust fourth
22 highest concentration using daily maxes as the
23 input. But I would like to see whether there is
24 some -- that would be the right way or there is a
25 different way.

1 MR. GARRISON: You didn't let me down,
2 Bob. Thank you. I think there are a couple of
3 ways to do that. One is to -- when you create your
4 distribution, if each point of that distribution is
5 a max daily point instead of just the single value
6 in the measurement the event occurs. The second
7 way is calculating the robust high concentration
8 based on, let's say, the 4th through the 30th
9 highest, bringing it down the distribution. So I
10 think there are ways to accommodate that, but it
11 does require some flexibility how you apply this
12 statistic.

13 MR. THURMAN: Any other questions?
14 Once? Twice? Sold.

15 I want to thank our panelists again.
16 Let's give them a hand for coming up.

17 (Applause.)

18 MR. BRIDGERS: So if we look at our
19 schedule, we have a break scheduled from 10:00 to
20 10:15. So let's go ahead and take a break until
21 10:05, because part of the surprise is time
22 related, so we need to be back and going in the
23 10:00 hour. So take 15 minutes, be back 10:05.
24 I'm suspending the public hearing for the break.

25 (At this time, a recess was taken from

1 9:48 a.m. to 10:08 a.m.)

2 MR. BRIDGERS: Now, we will transition
3 from a series of expert panels, the six panels, and
4 I have received a fair amount of positive feedback
5 on those. Again, as I said this morning, I
6 encourage feedback over the days and weeks to come,
7 so in the future we can benefit from your thoughts
8 and also improve these conferences in the future.

9 So next up we are going to have a series
10 of presentations by EPA. We are going to start off
11 with NO₂ and Dr. Chris Owen.

12 MR. OWEN: Thank you, George. Good
13 morning, again. Welcome back. Glad you are here.
14 Excited to talk to you about NO₂ modeling. If you
15 get excited about NO₂ modeling, I hope you're
16 excited as well.

17 So some background that probably most of
18 us know, but the reason we're talking about NO₂
19 modeling, and the reason that we still have white
20 papers on NO₂ modeling is that we still have a
21 tiered screening approach in AERMOD and in Appendix
22 W. And, of course, we were able to adopt some of
23 the Tier 3 methods into the model as preferred
24 modeling approaches, but they are still screening
25 approaches, despite their detailed chemistry.

1 So, ultimately, on the topic of NO₂
2 modeling, we would like to get to where we have one
3 technique that we believe performs the best so we
4 could specify that as the technique, and we don't
5 have to think between OLM and PVMRM. That's not to
6 say that we would necessarily get rid of the tiered
7 approach, because there is certainly usefulness in
8 having reduced form methods. If you can get your
9 NO₂ concentrations without having to get your
10 background ozone and all the other features that
11 are necessary sometimes for Tier 3 estimates, then
12 that's good. But, ultimately, we still are working
13 towards finding a best performing model for NO₂
14 conversion.

15 A little bit of news on NO₂ modeling
16 that is useful, applicable, and again, exciting.
17 And this is useful even if -- outside of the
18 context of trying to identify a preferred model,
19 and that's that we actually have some really
20 important significant updates to our NO₂ and NO_x
21 in-stack ratio database. It's been a couple of
22 years since I said anything about it because it's
23 been static for a couple of years, but we have some
24 really useful updates.

25 So three -- three main updates. So,

1 first of all, our sort of preferred database that
2 has lots of information in it, information that
3 some folks were probably hesitant to share because
4 it says "facility," and, you know, it identifies a
5 lot about where that data comes from. We have had
6 data added to that database just in the last couple
7 of months. Sent to me in the last couple of
8 months. I added it in the last few days, but it is
9 now in that database available for usage. And
10 thank you, Leiran, for facilitating that. And
11 if -- the individuals that were also part that, I
12 thank you as well, but I don't remember all the
13 names on -- that were on the email, so -- but I
14 appreciate that.

15 We also have some data from several
16 industry trade groups, and these are more -- these
17 are survey data that they compiled from their
18 member facilities, and this information from both
19 of these trade groups is available in a summary
20 report as well as the detailed data, so more
21 information on that.

22 So first off, there is a report and
23 there is some data available from the PRCI, and
24 the -- I think -- is that the right group? Okay.
25 Because there was a lot of groups involved.

1 Pipeline Research Council International; is that
2 the group, Jeff? All right. You got it. So they
3 did a member survey, and they got something like
4 5,000 or 6,000 data points in their database that
5 they've compiled. The title of their report is,
6 "Summary of NO₂-NO_x Ratio" -- I'm not gonna read all
7 of it, but that's the title of the report on that
8 first sub-bullet there. Here's the website for
9 that report, but I think, most importantly, is that
10 the data will be added to EPA's database in the
11 next week or so. I have gotten written permission
12 to add that, and so that data will be posted, and
13 we will send an announcement out when that's
14 posted.

15 The other report is from EPRI, Electric
16 Power Research Institute, and they also conducted a
17 member survey, collected a whole lot of data, and
18 they also released a report that's come out really
19 in just the last week. So you could see the title
20 of the report there, the website for that report.
21 The report is free, and it's fairly detailed, and I
22 think useful, but Eladio has told me that they are
23 getting the data to us as well. So we could post
24 that data on the EPA website.

25 So that -- the reports are kind of

1 summaries of categories, averages, standard
2 deviations, which is helpful, but I prefer seeing
3 all the data, which is why I begged them over and
4 over to have all the data. And I think some of
5 you-all will find all the data useful as well. So
6 a big thanks to those efforts, but also, you know,
7 just emphasize that this is a living topic. It's
8 been a few years since we have gotten data, but I
9 encourage you to keep this in the back of your mind
10 as you have facilities that are collecting this
11 data. We do have the sort of preferred database
12 that has a lot of details, but these surveyed data
13 sets that we have got from these two groups do not
14 have all that information, and so what I want to
15 emphasize is that, you know, if there are some
16 concerns about sharing sort of facility information
17 and all the other stuff that's associated with
18 that, we can work around that and get the data out
19 to the public. And so, you know, if you have
20 something that you think might work, please talk to
21 me about it, and we could probably figure out
22 something that we could do to get this data out to
23 the public.

24 All right. So back to some of the
25 scientific updates and potential considerations for

1 future revisions to AERMOD. This has been ongoing
2 for a few years. There has been a new Tier 3
3 method that's been under development. This has
4 been -- American Petroleum Institute has been
5 working with CERC, which is the company in the UK
6 that developed the ADMS model. So the work there
7 has been to bring one of the NO₂ schemes from ADMS
8 into AERMOD. The method is called the Atmospheric
9 Dispersion Model Method, ADMSM. I'm not sure where
10 the S comes into the acronym, but that is the name.
11 Scratched my head about that for a little bit while
12 I was putting the slides together.

13 It's pretty similar to PVMRM. It
14 accounts for the plume volumes, estimates the
15 amount of ozone that should be available for NO to
16 NO₂ conversion, but it limits the ozone
17 availability a little bit more than PVMRM does by
18 doing a different calculation for the
19 cross-sectional area of the plume to see how much
20 ozone is actually in the terrain. So limits the
21 amount of ozone in the center of the plume.

22 But I think the biggest difference
23 between PVMRM is it adds a -- what they describe as
24 a post-chemistry equilibrium calculation. And this
25 is just to say that they do consider the steady

1 state between NO and NO₂ that is reached during
2 sunlight conditions so that you do have conversion
3 of NO₂ back to NO. So you will have a lower NO₂ to
4 NO_x ratio in the atmosphere during daytime --
5 during daytime conditions due to consideration of
6 that photochemical equilibrium.

7 The downside to this method is that, in
8 addition to background ozone, it requires
9 background NO_x and background NO₂ concentrations as
10 well. Sort of Venky's point yesterday, we can do
11 more complicated stuff. We'll have to figure out
12 whether or not that more complicated stuff helps us
13 or not.

14 So the next slide here, I do want to
15 show a little bit of a difference between PVMRM,
16 OLM, and this new ADMSM method. So I grabbed a
17 couple of figures here from a paper that CERC
18 published a few years ago in JAWMA. So just to
19 clarify what we're looking at, we've got, on the
20 left-hand side of these two sets of figures is the
21 QQ plot of the NO_x. So, to basically give you an
22 idea of how the dispersion model is performing.
23 Something that is occasionally overlooked when we
24 are doing an NO₂ evaluation to make sure our NO_x is
25 making sense and we're getting the right reason --

1 the right answer for the right reason and the wrong
2 answer for the right reason, or however that
3 combines for your data set.

4 So we've got the NO_x on the left-hand
5 panel, and then on the right-hand panel we have the
6 NO_2 QQ plots from the three different methods. So
7 OLM is in green, PVMRM is in red, and if you're
8 red/green colorblind, I apologize, I didn't make
9 these figures. And then ADMSM is in blue. And, of
10 course, they are all dots, so you can't even
11 differentiate from shape. OLM is on top. I will
12 just tell you that, in general, and so hopefully
13 there is a difference between red and blue. OLM
14 you can see is overpredicting despite an
15 underprediction of NO_x , and I think, in general, we
16 expect OLM to have higher concentrations because it
17 accounts for more ozone availability.

18 For this case, PVMRM, too, looks really
19 good if you just look at the NO_2 , but of course the
20 NO_x is underpredicted. So we are getting sort of
21 the right answer for the wrong reason. As opposed
22 to ADMSM, you can see there is a pretty significant
23 difference. Underpredicting on the NO_2 but sort of
24 underpredicting by the same order of magnitude with
25 respect to the NO_x concentration. So suggesting

1 pretty good performance for ADMSM for this
2 particular case, which is the wild NO₂ data set.

3 And then just to kind of contrast how
4 sometimes it can be different and sometimes it can
5 be the same. I have got the Empire Abo South
6 monitored data set over here on the right-hand
7 side. You can see the NO_x is actually pretty good,
8 except, you know, for the top four or five data
9 points there. OLM is, again, overpredicting. And
10 this time PVMRM and ADMSM are pretty similar to one
11 another. A little bit of divergency on the top on
12 the eight or ten concentrations, but.

13 So you can get really different results
14 with ADMSM or you can get really similar results,
15 and it just depends on the particular situation you
16 are modeling. So it's -- it will be an important
17 Tier 3 method for us to continue to evaluate. It's
18 certainly more scientifically robust than PVMRM,
19 but we'll have to see if that really gets us to
20 where we need to be. And is the additional
21 complexity using those options getting us something
22 that we are benefitting from in the model?

23 Another scientific update that's in the
24 works is a new Tier 2 method that I have been
25 chatting with folks with for about a year, and we

1 finally did put together a white paper in the last
2 week, and so if you get the link for the AERMOD
3 development website that I showed you yesterday,
4 you could see the white paper that's there for
5 that. And that's -- again, these are all living
6 documents, so that white paper will continue to be
7 developed and improved, but this method is
8 fundamentally considering the reaction rate limits
9 for conversion of NO to NO₂, and that fundamentally
10 takes some time for that NO to ozone chem- -- NO
11 and ozone chemistry to happen before you start
12 making NO₂. So it's a pretty simple reduction of
13 well-known NO_x chemistry formulas to get the NO as
14 a function of travel time, function of ozone, and a
15 function of the initial NO concentration. It's
16 pretty simple on its face. It's easy to think
17 about for a single source. Just like OLM or PVMRM,
18 it's complicated to think about multiple sources
19 and how we combine those, and some of those issues
20 are discussed in the white paper; though, as folks
21 have been talking just this morning, I have been
22 sort of processing what they have been saying and
23 adding to how much more complex it will be to put
24 this in considerable multiple sources.

25 Another thing that I put in the white

1 paper as a consideration, you can see the graph
2 here for the percent of NO converted to NO₂. So
3 you could also think of this as the NO₂ to NO_x
4 ratio, that you start out assuming that you have no
5 NO₂, that you have zero percent NO₂ to NO_x ratio,
6 and then, as you travel downwind, you have more
7 reaction time, you have a greater percentage of
8 NO₂. And, of course, if are you familiar with our
9 NO₂ options, you know that we generally cap those
10 at 90 percent as sort of a generic, average,
11 maximum NO₂ to NO_x ratio, again, based on that
12 equilibrium between NO and NO₂. So I have thrown
13 in there, we could consider this is obviously going
14 to 100 percent, which folks aren't going to be
15 happy about, necessarily. We could just cap it at
16 90 like we have done with other situations, or we
17 could actually do the calculation for determining
18 that NO₂ to NO_x ratio equilibrium based on the ozone
19 and the sunlight that's available for those
20 particular hours that we are doing those
21 calculations.

22 So I look forward to hearing from you on
23 your thoughts on that particular method and, you
24 know, I sort of envision a world where maybe some
25 of these things collide, where maybe some part of

1 this gets combined with PVMRM and have taken a
2 limiting function between different pieces of
3 these. And so I think there is an interesting
4 pathway forward here on NO₂ chemistry, and
5 hopefully by the next proposal we will have
6 something that is moving this forward
7 significantly.

8 And then just a little bit about
9 evaluation databases. A lot of these or all of
10 these have been talked about for a number of years,
11 so I'm not gonna spend a whole lot of time on the
12 ones I'm presenting on, although I am going to
13 share the podium here with my colleague, Jeff
14 Panek, who is going to talk a little bit more about
15 one of the databases he's talking about.

16 So, quickly, two new databases,
17 Las Vegas and Detroit, and then two stationary
18 source databases, one in Colorado and the other in
19 Oklahoma.

20 The Las Vegas field study was conducted
21 jointly by EPA and Federal Highway. It was
22 conducted primarily 2009. You see December 2008 to
23 January 2010. Data was actually a little sketchy
24 in those two end months. So about a year's data.
25 We have a lot of measurements, and this is really

1 useful, I think, both for the dispersion model
2 evaluation, but also for NO₂ model evaluation,
3 because we have NO_x up here, which the instruments
4 are recording NO_x, NO, and NO₂, so we can evaluate
5 this from several different perspectives. And
6 what's really nice about it is that we do have
7 monitors on both sides of the roadway. This is
8 typically called upwind monitor based on the
9 average meteorological condition and three downwind
10 monitors so we could take out background to really
11 get the roadway increment so we don't have go guess
12 from other monitors in the area what our roadway
13 impacts are and really a clear and correct
14 calculation of the impacts from the monitor and the
15 ambient data.

16 Detroit field study is effectively the
17 same. It's about a year's worth of data. Same
18 instruments, actually, were deployed. The
19 monitoring situation is similar: 100-meter upwind,
20 10-meter downwind, 100-meter downwind, 300-meter
21 downwind. We don't have sort of the nice
22 alignment. There is a nice straight line between
23 monitors in Las Vegas, not so much in Detroit. The
24 roadway is not quite as uniform either. You can
25 see down here by the 3 -- 100, 300 downwind that

1 there is some off exit ramps and some other things
2 going on to make it a little more complicated.
3 But, again, useful study.

4 Some things to consider about this,
5 though, is that emissions are based on vehicle
6 counts, and those emissions, of course, don't have
7 a sense of all the vehicles that are out there. So
8 there is uncertainty in emissions. That's a little
9 bit counterweighted by some of the simplicities in
10 looking at line source modeling, that we don't have
11 to wait for SIGMA-V, it's more about SIGMA-Z, and
12 if we can think about modeling in a little bit more
13 abstract way than we typically do, I think we can
14 extract some interesting information about these
15 field studies, despite some uncertainty in the
16 emissions.

17 For NO₂ evaluations, unfortunately,
18 there is not any onsite ozone monitoring. So that
19 is a pretty significant consideration. But again,
20 if we think about profiles and we think about
21 changes with distance downwind and what relative
22 responses should be between model and monitor, and
23 I think we can learn some things about the ambient
24 data and the model performance from these data
25 sets.

1 Again, clear delineation of
2 background -- and we have also done a lot of work
3 with these data sets as well, just based on the
4 ambient data. So one of the things we've already
5 published a paper on is NO to NO₂ conversion rate
6 just based on the ambient data. So we have some
7 good characterizations of what's happening in the
8 field so we can look at that compared to the model
9 data as well.

10 Little bit about the stationary source
11 modeling -- or, excuse me, monitoring that was
12 conducted in Colorado. We were discussing this
13 yesterday. We actually had a team meeting at lunch
14 about this yesterday. What's the name of the
15 study? The Colorado Study? The Colorado Data
16 Study? I have been calling it the Denver-Julesburg
17 Basin, sort of out here east of the Rocky
18 Mountains' oil and gas development that's common
19 out there. Not a lot of other activity in the
20 area.

21 This was an extremely collaborative
22 effort, both on the funding as well as the man-time
23 that was put into this. API and BLM sort of were
24 the initial funders for this. Anadarko contributed
25 time to this. ERM, AECOM, US EPA have all put in

1 time and effort into this as well.

2 So this is a short-term intensive field
3 study. If you think about with respect to our
4 discussion on model evaluation, this doesn't fit
5 under Cox-Tikvart, because it's only about a month
6 and a few days of data. So it's difficult to
7 analyze from that perspective. But it is intensive
8 that we have a lot of air quality monitors.
9 Instead of looking at the words, we will just jump
10 to the slide that has the information as well.

11 The study was conducted at two different
12 well pads, and so the first well pad it was on site
13 for a few weeks, and then just based on the
14 drilling operations, they moved to this other pad
15 across the, quote, unquote, street here. And so we
16 moved the 12 monitors that we had initially arrayed
17 in this configuration and moved them over here for
18 the second half.

19 So we've got roughly two weeks of
20 sampling at each location. We actually -- you
21 could see there is a 6b, a 2a. We moved some of
22 these monitors around based on, sort of, real-time
23 analysis in the met conditions that were ongoing.

24 So we are this close (indicating) to
25 being done with developing the database. We hope

1 to have it posted on SCRAM for folks to start
2 looking at in a few -- the next few weeks. The
3 workgroup that has been working on this -- I will
4 jump to the workgroup slide -- will continue to
5 work on this after the database has been developed.
6 If you have interest in analyzing this with us,
7 certainly let one of us know.

8 So, since I have the workgroup slide up
9 here, I will acknowledge sort of the vast array of
10 folks that have been working on this. This has
11 been sort of a decision-making by committee, but we
12 have had Rebecca Matichuk from Region 8 has been
13 the lead for this workgroup that has really pushed
14 us forward, but I would really like to also
15 acknowledge
16 Mark Garrison from this list of folks who has done
17 a lot of the work, the data analysis, putting
18 reports together and stuff for us as well. So
19 significant acknowledgements to our extensive list
20 of workgroup members.

21 Jumping back to this slide, I just
22 wanted to give a flavor of some of the information
23 that's here. We, of course, have SIMS data for
24 these facilities so that we have good emissions.
25 And so since we had new NO₂ to NO_x ratio -- in-stack

1 ratio data, I thought it would be interesting to
2 put up from this study what some of the in-stack
3 NO₂ to NO_x ratio data looks like for some of the
4 different stacks that are on site. You can see
5 these are colored by different, actually, units.
6 And then the x-axis here is just the emission
7 rates. That's sort of the load that's being put on
8 these units. And you could see the amount of
9 scatter that occurs in some of these. The green
10 and the blue here, there is a lot of scatter over
11 not necessarily a lot of range for load, versus the
12 pink and red where the in-stack ratio's fairly
13 consistent despite a fairly large range of loads.
14 And so I think there will be some interesting
15 things coming out of these field studies, not just
16 from analyzing AERMOD performance, but also sort of
17 understanding some of our input data a little bit
18 better. And as we look at the database -- you
19 know, the in-stack ratio database, that I think
20 we'll have some things to learn from some of these
21 intensive field studies that have this information
22 at a very high frequency for longer periods of
23 time.

24 Last slide here is just really to
25 introduce and transition to Jeff Panek who is going

1 to tell you about this Oklahoma field study, and I
2 am letting Jeff talk about it because, while this
3 has been collaborative work, and Jeff and his group
4 have spoken with us frequently about planning and
5 analysis, this has been a little bit more in-house
6 work that they have done versus the work in
7 Colorado, and I just have this one figure up here
8 that -- I think the site is in here, but if I
9 pulled up the right -- you know, right place in
10 Oklahoma that the site was, you wouldn't be able to
11 tell the difference, but I just kind of wanted to
12 give you a sense of how remote it is, but great
13 because there is no interference from background
14 sources.

15 So I am going to stop and turn things
16 over to Jeff until we have to pause again. Let's
17 see if this works. And Jeff, if you want, there is
18 a pointer.

19 MR. PANEK: Thank you. My name is
20 Jeff Panek. I work for Innovative Environmental
21 Solutions, and I was the principle investigator
22 here for the PRCI project here to go out and
23 collect some data with the main function and
24 purpose of trying to evaluate AERMOD performance
25 and maybe make some improvements. So on behalf of

1 PRCI and the member companies, I would like to
2 thank EPA for the opportunity here to make this
3 presentation and hopefully to tie together a lot of
4 discussion items that we've heard over the last day
5 and a half here.

6 So our project participants here were
7 Pipeline Research Consortium International, which
8 is a research arm here for the pipeline industry.
9 We had various trade associations and member
10 companies here participating. And as Chris
11 mentioned here, we did consult with EPA here and
12 worked with EPA early on in the program as we
13 designed and implemented this research program to
14 gather some data.

15 Study objectives really were born out of
16 the new one-hour NO₂ standard, and we looked pretty
17 extensively at the databases for evaluating AERMOD,
18 and most of those databases turned out to be EGU,
19 taller stack, bigger type of emission sources,
20 SO₂-derived, and really we were looking for a
21 database that had three solid legs of the stool.
22 We were looking for solid met, solid emissions, and
23 solid ambient data. And really, as we started
24 poking around, even if I looked at the Empire Abo
25 data sets or the Alaskan data sets, there were

1 always something that was a little bit weaker. So
2 we were trying to go out and collect a fairly
3 robust data set here for the purpose of really
4 evaluating the model.

5 So, as Chris mentioned here, we are kind
6 of in the middle of nowhere, and that was kind of
7 by design as well. We were looking for -- trying
8 to really find the typical compressor station that
9 we could go out and do some measurement. So this
10 is a natural gas compressor station. We are
11 looking at some fairly decent-sized engines that
12 compress the gas and push it down the pipeline. We
13 are looking to try to stay away from other large
14 nearby sources that would give us compounding
15 information and make us sort out what the
16 contributions of those sources were. So having
17 that fairly isolated source was, indeed, a plus.
18 We are also out of an urban area, so we don't have
19 any of the urban ozone influences or those types of
20 influences that we have to separate out from what
21 is going on.

22 So we also looked at, very closely, run
23 times on the station, because we really did want to
24 get a compressor station with some data and try to
25 pull some data out. So we looked at the couple of

1 previous years, and it ran a decent amount for
2 compressor stations, so we are fairly optimistic.
3 But as in all research programs, you have to adapt
4 to the outcome of what happens, and we didn't quite
5 get the runtime on the engines we were hoping for.
6 In fact, we had -- and I will show a little bit --
7 one of the engines was actually down the entire
8 study period. But we did -- we did make up a lot
9 of data here in the last bit, and you will see that
10 in a little while.

11 So this compressor station had three
12 compressor drivers and an emergency engine. As I
13 said just a bit ago, Engine 8 here did not run
14 during the entire duration. They kept promising to
15 bring it back up, but it never came back into
16 service during our study period. We actually went
17 13 months on this program, so we had a 13-month
18 monitoring program. So this kind of gives you the
19 idea of these two sources that were really out
20 there monitoring, which is the Clark TCV-12, fairly
21 decent-size engine, not well controlled. But we
22 have the bigger Cooper-Bessemer, and you'll see a
23 picture in a second. Much taller stack, much
24 better control.

25 So we are, indeed, looking at all of the

1 wonderful things that make modeling a challenge,
2 including downwash, chemistry, and all of the other
3 interactions here in the model.

4 Here are the three stacks. We have got
5 the Clark building with the two Clark engines,
6 TCV-12 being slightly larger than the other Clark
7 engine, and the Cooper, a much taller engine.
8 They -- based on how compressor stations work, all
9 the stacks are usually out one side of the
10 building, they nicely align. But as you can see
11 here, we have some fairly short stacks, and that is
12 not very uncommon in the compressor industry. This
13 is just the way things had been done. So this is
14 an older station. You can tell a little bit by the
15 rustier old stacks here on the Clarks, but
16 everything nicely aligns when we see a figure a
17 little bit later north/south. So we do have a
18 predominant wind, and do have some monitors sited
19 to capture some of these impacts.

20 I really don't intend on you to look at
21 this, but we have a three-level tower. We actually
22 put it up on their communications tower that
23 existed. So I had 2 to 10 solar rad/delta-T, and
24 then we had a 30-meter ultrasonic. It failed twice
25 on us. After it failed the second time, I replaced

1 it with a traditional cup and vane, and we just
2 went forward. The thought was, with the taller
3 Cooper stack, we wanted to make sure we have decent
4 met at the taller level as well, so we just did
5 wind speed, wind reaction at the 30-meter.

6 So here's a comparison. When we did the
7 siting study and we did our initial work, we used
8 the NWS Hooker, Oklahoma, station, and on the other
9 side here you can actually see the wind rose from
10 the study from the on-site data, and you can see we
11 did a fairly decent job. The met is a little bit
12 different. We have a stronger south-southwest
13 component for the 10-meter on-site data than we did
14 out of the Hooker data set, but it did well enough,
15 and I will show in a minute how we actually compare
16 it to our siting.

17 So here's the overview of the actual
18 facility. You can see the red there is the
19 property line. So one happens to be a field
20 monitor. It's located -- again, the stacks are
21 oriented north-south along the two compressor
22 buildings here. So these are the two compressor
23 buildings. The stacks are lining up on the west
24 side of the building here. So we sited 1 and 2
25 really to get the dispersion between and see how

1 well the dispersion and the chemistry were
2 occurring between those two monitors. We did the
3 east fence there. The number 3 was really sited
4 primarily for a downwash consideration. And the
5 fourth monitor there is really kind of a background
6 monitor, and that's down by the communication tower
7 and the met data. So to give you kind of an idea
8 here, the monitor 3 is about 350 feet east of that,
9 and we did pick up some downwash, and I will talk
10 about downwash here in a little bit.

11 So the monitor stations here, we were
12 monitoring NO_x and ozone. We collected on-site
13 data for those. Here's a little bit about the
14 ambient monitoring hours that we had, total hours,
15 the invalidate hours for missing data calibration,
16 whatever event was occurring here, and our
17 validation. We did have some challenges with some
18 of this equipment, but we did, overall, get a
19 fairly robust, decent data set out of our
20 monitoring data.

21 Here's a look at trying to understand a
22 little bit about how many event hours we actually
23 had, so that when you actually do an analysis, you
24 could figure out, how much data do I have? What is
25 the breadth of that data set? So we looked at a 45

1 degree cone and we looked at when we had alignment
2 with one --

3 MR. BRIDGERS: So I mentioned that there
4 was going to be a surprise. This is sort of like
5 the Spanish Inquisition, so it's like, surprise, I
6 never suspected.

7 So we have the distinct pleasure this
8 morning -- we thought it was going to be yesterday,
9 but it is today -- that our Acting Deputy
10 Administrator for OAR, I said that right, Ms. Anne?
11 So I'm gonna offer the podium. No walk up
12 introduction and walk up music, but Anne Idsal,
13 please take the podium.

14 MS. IDSAL: Thank you.

15 MR. BRIDGERS: Thank you for coming this
16 morning.

17 (Applause.)

18 MS. IDSAL: Good looking crowd and a
19 pretty full room. Thank you-all so much for
20 joining us. It is a real pleasure to be here. I
21 know that this conference is held once every three
22 years, and it's a really important one by virtue of
23 the fact that what we do when it comes to air
24 quality monitoring is the basis of a lot of
25 rulemakings, a lot of actions that are taken,

1 guidance that's changed and tweaked over time based
2 on the new modeling methodologies that are coming
3 out and the work that you-all do. And so much of
4 it is truly bottom up from, you know, local
5 municipalities, tribes, states, you name it. So I
6 just wanted to thank you-all so much for taking the
7 time to be here, for engaging with one another.
8 From what I have already heard, you-all have had
9 some really solid conversations. I would encourage
10 you-all to keep that up.

11 So to just say a couple of quick things,
12 as you-all know, the 2017 revisions to the
13 Guideline on Air Quality Monitoring [sic] addressed
14 a number of key concerns brought forth by y'all,
15 the stakeholder community, through conferences just
16 like this one, some related workshops, meetings, as
17 well as just some direct experience and model use
18 under the Clean Air Act programs.

19 So in an effort to facilitate that
20 continual improvement in our models and methods, we
21 have provided clear and transparent identification
22 to the stakeholder community on areas of EPA focus
23 for some additional model development evaluations
24 through a series of white papers, which you-all are
25 very familiar with. And as you can see, through

1 this 12th Conference, you know we are actively
2 seeking your feedback, if it's to that, any
3 additional feedback you might have, and be prepared
4 to provide input from the external community on
5 these areas and any other areas of significant need
6 that have not already been identified within the
7 white paper. So this is a real opportunity to
8 engage, to give us feedback, to give us comments,
9 good, bad, otherwise. We need to know what you-all
10 are dealing with on the ground, what you're seeing,
11 and how things are changing.

12 EPA certainly views air quality modeling
13 development as a collaborative enterprise. This is
14 an iterative process, and it involves a lot of
15 engagement. It should not be a one-sided
16 conversation. It ought to be a dialogue. And we
17 really value your input. So please continue to
18 bring that to bear throughout the course of this
19 conference, and quite frankly, once you leave RTP.
20 I know there is a lot to gain from these ongoing
21 conversations. Communication is absolutely key, so
22 please use the public feedback session this
23 afternoon, as well as the public comment docket.
24 As you-all know, this is all transcribed because it
25 is a public hearing. So again, just this forum,

1 the conversations you have, the comments you
2 provide, go -- really go a tremendously long way to
3 making sure that, as we move forward, we do so with
4 the best information that's out there with your
5 continued input and collaboration, and I cannot
6 thank you enough for that. And with that, I will
7 turn it back over to the gentleman who I so rudely
8 interrupted.

9 Thank you-all very much. Appreciate it.
10 (Applause.)

11 MR. BRIDGERS: Thank you, Anne. I
12 apologize to everyone. Anne's on a very tight
13 schedule today, and so this was the walk in. She
14 was actually going to be our keynote yesterday, but
15 her schedule changed. So, Jeff, let me see if I
16 can find your presentation again. I should be able
17 to. Is this where you were?

18 MR. PANEK: That's where I was.

19 MR. BRIDGERS: Awesome.

20 MR. PANEK: So, to reiterate, this slide
21 is trying to just show how many decent event hours
22 we have for evaluating the -- when the engine was
23 operating, when we had impacts at the monitor, when
24 we have data actually available to do the analysis.
25 We do have a little bit of double counting I want

1 to point out, because when I have a south wind, I'm
2 getting both that north fence and the field monitor
3 count in there. So you get a little bit of double
4 counting, but as you are looking at the data set,
5 you can see we had very low runtimes and we weren't
6 getting much data, kind of in the middle of the
7 project. As we continued to ask for runtime on
8 these engines and to get operations to actually
9 schedule some operation, we did pick up quite a bit
10 from kind of that September-through-December time
11 frame, and we made up a lot of ground with a lot of
12 additional data.

13 So I said earlier we did a
14 post-evaluation using the onsite met and looked at
15 where we were. Did we site things properly? About
16 mid-project we looked at this as well to say, gee,
17 did we get it right? Do we have to move the
18 monitors? What should we contemplate here, as far
19 as the locations? And having looked at the
20 isopleths here and what we had done, it turned out
21 we did a pretty decent job of siting. So AERMOD
22 and NWS data did a pretty decent job of giving us
23 some good siting data.

24 So here's a summary of the monitoring
25 data. So I would like to first point out that

1 there is a main difference here between a
2 permitting modeling approach here where I am going
3 to be using NWS data, and I don't have any of this
4 on-site data. That would exacerbate things here,
5 but the facility here passes using one year of
6 monitoring data. We would have demonstrated a
7 compliance. However, if we are using PVMRM and
8 five years of that offsite data, we are not going
9 to pass. And even for a facility as simple as
10 this. So taking a look at this, we see that that
11 north fence gave us our highest impact of 109.8.
12 So we are slightly over the standard, about
13 10 percent.

14 So again, looking at a permitting
15 analysis, and going through it on that basis, I
16 presented here the Tier 1, 2, 3 data results for
17 permitting analysis and then compared that to the
18 highest observed here. So we did model that
19 TCV-10, which is not going to be reflected in the
20 monitored data, because that engine didn't run, but
21 during a permitting analysis, I would have been
22 required to include it. So for the purpose of
23 comparison here, we placed that data in there.

24 So looking at a refined analysis
25 actually using that on-site data now, going through

1 and using our PEMS data, so we had a parametric
2 emissions data set developed back based on trapped
3 equivalent ratios, and I'm not going to go into any
4 detail on that. There is plenty of data and report
5 information on TER and that PEMS system available,
6 but the two-stroke engines uniquely gave us an
7 opportunity here to use a PEMS system and get
8 decent data, and we did source test these several
9 times to get some comfort with the data that we
10 have for the emissions. So I think it's worthwhile
11 mentioning also that this data was archived down to
12 the one-minute level. So we have one-minute data
13 for analysis.

14 So looking at the comparison here, using
15 the refined data, we get a much better comparison,
16 but you can still see that PVMRM is still
17 overpredicting and showing some violations, whereas
18 we did not see that in the data.

19 So we have done a number of different
20 analyses in the reports, and we are hoping to make
21 all of that available to EPA to present on their
22 website along with this data set that others can
23 use to conduct analyses on their own. That should
24 be available here -- we are hoping here in a couple
25 of weeks when Chris is able to compile it all and

1 then put it up for the SCRAM website.

2 So we are currently looking at a number
3 of different things, including on the chemistry
4 here, and I think it was said yesterday that nobody
5 wants to look at debug files. Well, I kind of
6 agree with that, but we are forced to look at the
7 debug file, because we are really trying to get at
8 looking at that plume volume, plume rise, make sure
9 that the available moles of ozone that are
10 available for that conversion all make sense. So
11 we are in the process right now of going through
12 and compiling that data for various events in -- in
13 the model that we have and taking a look at things.

14 So the events that we are focusing on
15 really are looking at some differences here between
16 that north fence and the field monitor where we
17 have a south wind. We want to make sure that that
18 engine was running by itself. I didn't want a
19 boiler or the emergency generator if it was
20 operating during that hour again to confound
21 things. We are trying to keep it simple to start.
22 The Cooper, the boiler emergency generator, we are
23 trying to get those out of there.

24 The one other comment I will make is the
25 Cooper and the Clark were not coincident impacts.

1 When I do modeling and take a look at it from
2 there, the taller stack, more controlled,
3 additional dispersion on that Cooper engine, I
4 wasn't getting joint impacts. So the one downside
5 to the study is we really didn't have merged plume
6 data, which we were really hoping to have, but that
7 second Clark engine never came back on.

8 So we've run the model with and without
9 downwash. We are running that model for NO_x so I
10 could look at the dispersion portion and NO₂ so we
11 can look at the chemistry portion and isolate
12 those. We are also digging into the one-minute
13 data underneath to take a look at, for that
14 individual hour for that event, what that looks
15 like, and we are also doing some manual plume rise,
16 going back to the good old days of pulling out Gary
17 Briggs' calculations for plume rise. And I think
18 it was also stated that nobody ever uses SCREEN
19 anymore. Unfortunately, I did for the plume rise,
20 because it was calculated for me, and I didn't have
21 to struggle to do it. So SCREEN does still have
22 some functions. Chris might disagree.

23 I'm not gonna read these to you, but
24 these are the parameters that you get out of the
25 debug and that were pulling out for both the north

1 fence and the field.

2 So one of the other activities that we
3 have engaged in is our team brought Ron Peterson
4 from Peterson Consulting on board, and Ron's been
5 part of all the new downwash, and he's gone through
6 this. Here are the various options. I present
7 this slide so that the next one makes sense so you
8 can understand what the nomenclature is when I show
9 you the actual summary of the data and the results.
10 So Ron's used this data set with that east monitor
11 really to pull out and look at and see how the
12 downwash is performing.

13 So we did look at the robust high
14 concentrations, and we were using NO_x only, so we
15 eliminated the chemistry portion or any bias from
16 the chemistry. And the conclusion here is NO_x is
17 overpredicted by 1.8 to 3.25. And again, the
18 various modeling scenarios -- and I will go back
19 up, and these are the various new BETA options and
20 how we looked at each one relative to this data set
21 and taking a look at the data set.

22 Similarly, here's the QQ plot for that
23 east fence monitor and taking a look at each one of
24 those types of analyses, and you can see we are
25 well above the over 2 -- factor of 2 overprediction

1 here. It's showing quite a bit of overprediction
2 from this. And when digging back into this a
3 little bit further -- and we are doing additional
4 analyses to try to understand this better -- it
5 does look as if the plume rise is not correctly
6 calculated, and that we're not getting the plume
7 rise correct.

8 So in conclusion, I really wanted to
9 make you aware of the data set, make you aware of
10 this data to actually do some NO₂ work for further
11 evaluation and model improvement, and hopefully it
12 will be the basis for evaluating some of the BETA
13 options and the new model provisions that we are
14 bringing in for chemistry.

15 The simplistic model chemistry here and
16 some of the assumptions here I think are leading to
17 overprediction, especially in the near-field. One
18 of our comments has been that the assumption here,
19 and it's a simplifying assumption from the modeling
20 standpoint, is that we have a well-mixed ozone
21 within the plume for that conversion is just
22 clearly not the case, and there is a delay to get
23 it mixed in to make that conversion.

24 Ambient ratios here from the in-stack to
25 the field show very little chemistry occurring, you

1 know, in that initial plume and that initial
2 downwind transport. So one of the conclusions so
3 far has been maybe it's best to turn the chemistry
4 off in the very near-field, and we don't know what
5 that distance means yet, because we don't -- we
6 don't have enough of the data analyzed, but
7 certainly out to that north fence it -- we are not
8 seeing the chemistry occur from the monitoring
9 data, but the model does employ chemistry.

10 So one-hour invariant met and emissions
11 data here also cause or contribute to what we are
12 seeing, as far as the overpredictions, and
13 obviously downwashes is clearly another topic that
14 we need to further investigate.

15 So the data are available currently on
16 the PRCI website. This data set is available for
17 some nominal fee. I believe that it will go up
18 onto the -- and I have to check with the project
19 team to make sure I have permission to do this, but
20 if they can put it up on the SCRAM site, I think it
21 will have more use and more access for folks.
22 There is a lot of other information out there.
23 There is reports, there is all the QQ plots and
24 analysis, so I welcome you to take a look at that,
25 and review it, and give us some feedback.

1 Ongoing project is still going on this
2 year, and we are trying to complete a couple of
3 heavier analyses here with the downwash, so stay
4 tuned, we should be publishing here shortly on the
5 downwash. Also, the near-field chemistry work with
6 the debug files. And one other thing that hasn't
7 come up much in the discussions that I picked up on
8 from the conference here is we're really using
9 one-hour invariant parameters, both on the emission
10 side and the met side, for estimating a one-hour
11 concentration. So that seems that we should be
12 using a smaller time step here for actually trying
13 to understand what that hour is. So we're getting
14 some of that variability accounted for. So that is
15 also something we are looking into, since we have
16 the data down to one minute. And I'm not at all
17 suggesting 1-minute data are needed, but maybe
18 15-minute data, maybe some smaller time step, so
19 that when we are estimating that hour, we are
20 picking up some of these variances.

21 There is the project content -- contacts
22 and the PRCI project manager. This would be part
23 of the docket, so you will have access to that
24 contact information, and if you are wanting to
25 discuss this any further, please reach out and let

1 us know. Thank you.

2 (Applause.)

3 MR. OWENS: And George, I think we are
4 actually going to put our presentations on the
5 conference website as well, right, eventually?

6 MR. BRIDGERS: Chris, that is correct.
7 We will have the presentations posted hopefully by
8 the middle of next week at the same time that I
9 load them into the docket. I just want to make
10 sure that we have the final correct versions of the
11 presentations and we will PDF them up. And again,
12 Jeff, wherever Jeff got to, apologies that we
13 interrupted you with -- he walked out of the room.

14 MR. OWEN: He was done with us.

15 MR. BRIDGERS: Someone texted me when I
16 didn't do the Monty Python skit correct, because I
17 didn't do it in the voice of the Spanish
18 Inquisition. I didn't have my red uniform on, so I
19 apologize for that, but it was an honor to have
20 Anne slip through. So I will offline apologize to
21 Jeff for his interruption.

22 MR. OWENS: All right. Somehow we are
23 on time. 11:00 was our start time for the plume
24 rise, and I also want to thank Jeff, because he
25 said plume rise about eight times in his last three

1 slides, so it gives some relevance to my relatively
2 short slide deck on what ultimately is a simple
3 concept but nonetheless challenging us to
4 appropriately parameterize in all situations, so.

5 So I kind of have an array of topics
6 here, and I apologize if -- if it's difficult to
7 connect all the pieces, but the connecting theme is
8 the plume rise. So we do have a current white
9 paper on saturated plumes. So the details on this
10 white paper is simply that plumes that have a high
11 moisture content can have an increase in plume
12 rise. And this is often the case with facilities
13 that have NO_x and SO_x controls that are doing wet
14 scrubber, and so they can have additional moisture
15 in that plume that is not maybe typical, and maybe
16 not something that we were thinking about 20 or
17 30 years ago when we built -- developed the model.
18 But that's not considering our current formulation
19 for plume rise. That -- our current plume rise
20 formulation accounts for the momentums of just the
21 speed of the emissions coming out of the stack, as
22 well as the thermal buoyancy of the current
23 temperature, but again you don't take into account
24 any additional heat inputs; i.e., heat of
25 condensation.

1 So the white paper discusses a PLURIS
2 plume rise model, generic plume rise model that has
3 been identified as potentially providing some
4 pathway for considering additional plume rise from
5 so-called wet plumes. Also discusses a
6 preprocessor that has been recommended for
7 addressing the situation, sort of an
8 outside-of-the-model framework. And that may be
9 okay for particular applications, but ultimately,
10 again, as we are talking about updates to AERMOD,
11 we need to bring these concepts somewhere into the
12 model framework. That plume rise is a dispersion
13 aspect that we need to account for in the model,
14 and certainly would be a new formulation if we
15 bring this feature into the model. So it's one of
16 the things that we need to think about with respect
17 to this particular topic. The other thing is
18 performance evaluations, and there has been some
19 evaluations. I don't think -- there has certainly
20 not been the evaluation of what we would eventually
21 put in the model, because what we are going to put
22 in the model doesn't exist yet. But again, data
23 sets are going to be crucial to moving this
24 particular topic forward and future versions in the
25 model.

1 All right. Another plume rise topic,
2 buoyant line plumes, formerly known as BLP,
3 currently exist as BUOYLINE in AERMOD. So EPA
4 incorporated the BLP model into AERMOD. It's part
5 of our Appendix W update in 2017. BLP was
6 integrated as is, and as is means that it was a PG
7 model. It means that the downwash calculations
8 that were done were -- well, we will say they
9 weren't PRIME. They are significantly reduced, in
10 terms of calculating downwash. So what we have in
11 AERMOD right now is that the AERMOD met is
12 converted to PG stability class so that we could do
13 those plume rise dispersion calculations of the
14 BUOYLINE model in AERMOD. And so the thing here
15 about going forward is sort of an open question of
16 do we want or need to do the work with this BLP
17 specific parameterization to take this into certain
18 modern dispersion theory? Do we need to move -- do
19 we need to replace the PG parameterizations that
20 are there? If we do that, we need the data sets to
21 do it. And that was one of the things that really
22 held us up going into the proposal of doing
23 anything other than bringing it in as is, is that
24 we didn't really feel like we had sufficient data
25 sets to do that evaluation moving forward. So

1 hopefully, as we continue to collect data
2 information, then we can identify appropriate data
3 sets to do additional scientific development on
4 those fronts.

5 BLP was specifically formulated for roof
6 vents, smelter facilities. And we have a figure on
7 the next page that will make it a little bit more
8 clear, but some of the specific details of this
9 formulation is that these -- this plume rise was a
10 buoyancy-only plume rise. There is no momentum
11 calculation, certainly no moist plume calculation.
12 The plume rise is calculated in BLP. It is nice,
13 in that it has wind-angle specific entrainment. So
14 if the wind is along the length of the building,
15 BLP will take into account that that plume will
16 sort of be like a merge plume and it will have some
17 enhanced plume rise for that. So there are
18 definitely good features of BLP that are not
19 available for other source types and air modeling.

20 Because of the overall description,
21 though, of the BLPs for long, hot sources, BLP has
22 been applied for a number of long, hot sources,
23 even if those are not the roof vent type scenarios
24 that it was originally formulated for. And I will
25 explain that a little bit more in a couple of

1 slides, but just to -- we have tools that sometimes
2 fit the scenario and sometimes not. And this is,
3 again, a case where we consider future
4 developments.

5 So this is a couple of figures from the
6 BLP User's Guide. Again, shows the roof vent.
7 This is meant to be a very long building. You can
8 see the figure here, long building with a vent on
9 the roof that all of the emissions from the
10 activities on this side of the building are leaking
11 out. And again, there is no momentum component of
12 the plume rise as calculated in BLP because the
13 expectation is that this is all heat driven
14 emissions off the roof of a building. Of course,
15 hot air is rising, rather than an industrial
16 process that is pushing air through a system, so
17 there is a particular speed. And, of course, the
18 roof vents are covered so that you don't have,
19 like, a stack where you are just going up in the
20 air. The idea is that air that's coming out
21 doesn't have a lot of vertical speed to begin with.

22 Over here on the right-hand side, I've
23 got the equations for the buoyancy flux calculated
24 BLP and also AERMOD. And just wanted to point out
25 sort of simply that they are effectively the same

1 formula. It's a flux through it, so it's a
2 temperature differential over an area. So it's the
3 length times the width of the source. Calculate
4 that surface area that that flux is going through.
5 Whereas for AERMOD for point source, it's r^2 . So
6 otherwise the terms are effectively the same.
7 Temperature differential between the air and the
8 plume divided by the temperature of the plume. So
9 there is a lot of similarity, and I think that, as
10 you look at buoyancy flux, there is not a lot of
11 different approaches here, theoretically. Of
12 course, maybe J. PLURIS model does something
13 different, but I think there is similarity here
14 that provides synergy as we consider what we can do
15 for different sources and different combinations of
16 addressing the source types going forward.

17 So I mentioned that BLP has been applied
18 for sources that maybe don't fit the box of a
19 smelter with a roof vent. So there's actually been
20 three Model Clearinghouse actions in the last
21 couple of years. And, you know, I think the Model
22 Clearinghouse is our test bed for identifying where
23 model improvements are needed. So that's why I'm
24 looking here, Model Clearinghouse actions, to show
25 where we can consider future updates to the model.

1 So these three Model Clearinghouse
2 actions actually have the same title for all of
3 them, BLP/AERMOD Hybrid Approach for the Buoyant
4 Fugitives in Complex Terrain. If you go in
5 MCHISRS, if you just search for BLP, you'll find
6 them. There is three actions with actually two
7 different facilities, one in Allegheny County in
8 Pennsylvania and the other in Follansbee, West
9 Virginia. Interesting, both of these facilities
10 were the subject of Model Clearinghouse records
11 back in the '90s as well, the last time they went
12 through major permitting or regulatory actions. So
13 these things have been there for a long time, and
14 despite sort of identifying that we needed
15 improvements, we still have need for improvement on
16 these source types.

17 So the hybrid approach that's been used
18 for these two facilities, you know, seeks to
19 maximize the scientific benefits from the BLP
20 model, and that it has an enhanced consideration
21 for plume rise from a source with this type of
22 configuration, but gets better dispersion
23 estimates. So again, the question of, do we need
24 to look at Monin-Obukhov dispersion estimates from
25 these source types that are available in AERMOD?

1 So I have a figure here. If you are not
2 familiar with coke ovens -- I was not familiar with
3 coke ovens before I started working on these
4 actions. So the figure here is one oven. This is
5 one oven in this long series of dozens or hundreds
6 of these ovens. And each of these little ovens has
7 basically coal that's on fire in an oxygen-limited
8 environment so they could remove impurities. And
9 these things will, quote, unquote, cook for a day,
10 two days. And so the activities at these
11 facilities are moving up and down this two or three
12 football field long building and opening these
13 doors, pulling out this really hot stuff, moving it
14 over to a place to cool it. And so there is not a
15 stack here. There is not a roof vent. Instead,
16 there is this giant hot thing with even hotter
17 stuff leaking out of it.

18 And so I have two figures here from
19 original risk assessment EPA did in 2003 that just
20 kind of show some of the different pieces of
21 buoyancy and emissions from a coke oven. And so,
22 you know, it's this long building, the whole thing
23 is hot, there are parts on the top where you open
24 it up and you put the coal in, the doors on the
25 side where you open the doors and push the coal

1 out. I mentioned there is a thing called a quench
2 car that goes up and down and gets the hot coke and
3 takes it over to this other building, I guess pour
4 water on it or maybe it's oil. I didn't get that
5 far in the details of the industrial process, but
6 there is this nice little railcar driving up and
7 down with stuff that's like 1,000 degrees, and
8 maybe leaking SO₂, I don't know. I'm more
9 concerned about the plume rise right now, rather
10 than quantifying the emissions. But the bottom
11 line is it's a hot mess, so to speak.

12 And I know Tim Leon-Guerrero is probably
13 sitting back there feeling vindicated that I'm
14 venting for him as he's tried to characterize these
15 source types and others in the past who have done
16 the same. But, you know, it represents a source
17 type that is not well represented in any of the
18 current models that we have, and so I think it's
19 important for us to consider it, and as I have
20 looked at these, it's kind of brought my mind to
21 other plume rise issues.

22 And so just to summarize some things I
23 said about how coke ovens are difficult, the
24 surface temperatures on the door's about 450
25 degrees, but if you open it up and let some of the

1 air out, it's actually 1,800 degrees. You know, if
2 you look at the formula for calculating the
3 buoyancy flux, you only have one emissions
4 temperature you get to choose from. So, you know,
5 how do you pick from that?

6 I said I didn't want to get into the
7 emissions, but trying to balance fugitive emissions
8 versus actual direct emissions from some of the
9 piping that occurs is complicated.

10 And just in general, back to the plume
11 rise aspect, you know, the buoyancy flux here is
12 difficult to calculate, and it's not -- it's not
13 one hot source. You know, it's not like we could
14 just take that 450-degree temperature and sort of
15 calculate heat transfer, but the RRA did calculate
16 heat transfer from just the surface, and then it
17 calculated buoyancy flux from doors opening up and
18 down. So there are ways to look at this that are
19 interesting.

20 But, what it brings to light is that,
21 you know, buoyancy from fugitives can be really
22 important for some sources. Buoyancy from
23 generally hot facilities that we maybe don't
24 capture in a stack exit temperature can be
25 important. And so those are things that we need to

1 think about as well.

2 Plume merging. You know, I talk about
3 that there is different doors open. So we've got
4 the big hot oven -- big hot oven door, and that's
5 combining with the overall buoyancy for the
6 facility. And so sort of plume merging is
7 something that's been highlighted in my own mind
8 looking at these facilities as well.

9 So, again, just some topics that we can
10 think about as we talk about plume rises.

11 Relatively simple hot-air-rises concepts that we
12 learn as children, close the door because you are
13 letting the hot air out, is not necessarily easy
14 and straightforward to model. And while we have
15 made an effort with a lot of our updates now to
16 sort of look at them independently, plume rise is
17 certainly calculated independent of other model
18 features, but they are not independent in reality.

19 And so as we talk about plume rise, we
20 probably have a building, there is a stack, and so
21 downwash is potentially important to the point that
22 Jeff was making in his slide deck. Those two
23 things play together, and other features of the
24 model parameterization. And so I was just giving
25 acknowledgement of the white paper that was

1 submitted recently, which is titled "Penetrated
2 Plumes," but you don't have a plume that's
3 penetrating a boundary layer if it doesn't have a
4 plume rise. So I've -- I've categorized it over
5 here in plume rise, and Bob will tell you more
6 about it, I think, later in the day. But just the
7 point being that these things all fit together.
8 And as we look at individual model updates, it
9 helps us to think about how these things work and
10 how they are done in the model, but, ultimately,
11 when we get to doing testing and evaluation, and
12 looking at these data sets, we are going to have to
13 turn all these things on or off to come up with the
14 solutions that together work to improve the
15 modeling system. So I think it just underlines the
16 effort of collaboration among topics, much less
17 among the different entities doing this work. So
18 while PRIME2 committee may be focused on downwash,
19 the PRCI Plume Rise Committee is going to have to
20 work with them going forward so that we could all
21 make sure that we are looking at the same thing.
22 PRCI has done that already by hiring Ron,
23 apparently, so good job.

24 All right. That's the end of my slide
25 deck, and I'm going to turn things over to James

1 now who will -- on the exciting topic of
2 deposition.

3 MR. THURMAN: So I'm going to talk a few
4 minutes about deposition AERMOD. It's kind of a
5 topic that has not been discussed a lot since
6 AERMOD's been promulgated. So why are we talking
7 about it? There has been recent interest in AERMOD
8 deposition due to the polyfluoroalkyl sulfonate,
9 perfluorooctanoic acid and perfluorooctanesulfonic
10 acid. Bet you didn't think I could say that. So
11 PFAS, PFOA, and PFOS were in the news recently.
12 For those in North Carolina, this would be like
13 GenX you've heard about. So there has been a lot
14 of work -- interest in those chemicals. Also
15 mercury deposition and ammonia deposition recently
16 using AERMOD.

17 So AERMOD does incorporate dry and wet
18 deposition from particles and gases. Generally is
19 not used for regulatory applications but can be
20 incorporated if important, and that's in Section
21 7.2.1.3 of the Guideline.

22 So I'm gonna talk about the two dep- --
23 two deposition schemes -- well, there's actually
24 three, one is for gas and two for particle. With
25 this latest release of AERMOD 19191, we set the gas

1 deposition, went from nondefault to ALPHA as we
2 investigate it -- and we'll talk about that more.
3 Gas deposition was added in the early 2000s, the
4 Wesely, et al. 2002 paper. That was some work done
5 by Argonne National Lab. It was meant for ISC, but
6 then brought into AERMOD when AERMOD was
7 promulgated.

8 Gas depositions, not easy to put in
9 AER- -- to implement AERMOD. There's a lot of
10 inputs you have to know. These inputs include a
11 land use around the source. You have to do the 36
12 sectors of land use around the source. It's not --
13 the AERSURFACE-type land uses, specific land use
14 categories for AERMOD in the User's Guide.
15 Seasonal/month assignments for each month, and it's
16 called GDSEASON. Then properties of the gas
17 include diffusivity in air and in water, a
18 cuticular resistance to uptake by lipids, and then
19 Henry's Law constant.

20 Then optional user-supplied deposition
21 velocity in -- but you can't calculate deposition
22 outputs. You can't use the depos and keyword or it
23 won't output that, but it will include depletion.
24 And the User's Guide says to use that with caution,
25 because you are actually saying I know the

1 deposition velocity. So here are the AERMOD User's
2 Guide references 3.2.2.12 to 14 and 3.3.3.

3 So deposition for particles, there are
4 two methods. Great names, Method 1 and 2. Method
5 1 is default that was brought up from ISC based on
6 Pleim's work for the Acid Deposition Oxidant Model.
7 This one you give inputs by size bin. You give by
8 diameter, the mass fraction, and density of each
9 bin of sizes for the partial distribution.

10 Method 2 was added at the same time as
11 the gas deposition based on the same work. It's a
12 simplified approach when you don't really know the
13 particle size distribution, and like gas
14 deposition, this was previously nondefault, but we
15 made it into an ALPHA option as we investigated it
16 more. The inputs are much simpler. Just give a
17 fine mass fraction from 0 to 1 and the mean
18 particle diameter of the fine mass fraction.

19 So when do you use Method 1 versus 2?
20 Method 1 you would use when you have a significant
21 fraction, more than 10 percent of the total
22 particulate mass has a diameter of 10 microns or
23 larger, or you do know the particle size
24 distribution. Method 2 would be used when you
25 don't really know the particle size distribution

1 and when a small fraction of the total mass is 10
2 microns or larger. So most of your mass would be
3 in the fine range. And then here's the 3.3.4 of
4 AERMOD User's Guide section that discusses these
5 two methods.

6 So just to look at the differences
7 between these two methods. There is gravitation
8 settling velocity is one difference. For Method 1
9 you calculate it by each bin. Method 2 we -- you
10 assume that the fine mode is 0 meters per second
11 for the gravitational velocity, and the coarse mode
12 is a 0.002 fixed number, and that's reasonable
13 compared to Method 1 for coarse particles for the 5
14 to 7 micron range.

15 Also, Method 2 doesn't -- for the
16 deposition velocity, doesn't have a phoretic
17 effect, whereas Method 1 does. That was brought
18 over from ISC. Here you can see the
19 gravitational -- the gravitational settling
20 velocity equation for Method 1, which is size
21 dependent.

22 And then here's the deposition velocity
23 equations. Method 1 you have all these terms,
24 these resistance terms, and then this V_g -- the
25 gravitation velocity here and here, and then this

1 is this phoretic effect, pretty small,
2 0.0001 meters per second, you know, is not going to
3 make much difference. You see Method 2 is -- you
4 can see where, for the fine mass fraction, V_g , goes
5 away because it's 0; and then for the coarse mode
6 deposition velocity, there's that 0.002 here and
7 here, and the resistance terms, and then the total
8 deposition velocity for Method 2 is weighted based
9 on the fine mass fraction of the fine and coarse.
10 And you could see that equation at the bottom.

11 Some more differences are the resistance
12 to particle deposition in the quasi-laminar
13 sublayer enveloping the surface elements. That
14 term is calculated differently for Method 1 and 2.
15 Method 1 is a diameter-dependent calculation,
16 whereas Method 2 is stability dependent. You have
17 one term for stable and one calculation for
18 unstable, where u^* is brought in both -- u^* is used
19 in both equations.

20 So just an update on what we did. Like
21 I said, Method 2, gas depositions were nondefault,
22 but we made those ALPHA options because they really
23 haven't been evaluated much. They are not used for
24 regulatory applications, they are not really used,
25 so we don't know a whole lot, so we're evaluating

1 those methods now and comparing to other models,
2 such as CMAQ, talking with the ORD colleagues about
3 the deposition they're doing in CMAQ. You know, do
4 we bring CMAQ over if it's different? You know,
5 what can we do?

6 Method 1 is unchanged. You could still
7 use it with a default keyword. It seems to be
8 based on pretty sound science. So I think it's
9 okay. And then always consult with the appropriate
10 reviewing authority on deposition use.

11 And here are some links. The ISC User's
12 Guide has information about Method 1. The AERMOD
13 User's Guide, obviously. There's the AERMOD
14 deposition algorithms document draft, pretty good.
15 The actual deposition report from Argonne is in a
16 ZIP file. It has multiple appendices. And then
17 also I gave a presentation at a 2018 workshop in
18 Boston. It has more details about Method 1 and 2,
19 particle deposition as well as wet deposition, and
20 it has some examples, and there is the link to that
21 presentation. So I think that is it for
22 deposition.

23 MR. BRIDGERS: Thank you, James. So
24 lastly before lunch I get to present on -- a real
25 quick update on the Model Clearinghouse. You heard

1 it mentioned a couple of times this morning.

2 A few of you will have seen parts of
3 this presentation we gave at Seattle earlier in the
4 spring, but we thought it was important to update
5 the stakeholders, since the stakeholders weren't in
6 the room in Seattle. Along that note, we fully
7 intend next year that the annual workshop will have
8 a stakeholder day. We have not set the date or
9 location.

10 Many will know that we hosted a Model
11 Clearinghouse LEAN project a number of years --
12 well, last year in April. We gathered a collection
13 of regional office staff, headquarters staff, and
14 staff from state and local agencies to come
15 together in the spirit of the new LEAN processes
16 that are going on with the EPA. And on the
17 onset -- and I think I had mentioned this to
18 this -- to members of this group in the past --
19 there was a little confusion on my part, because I
20 thought the Clearinghouse was a pretty good
21 process, and that's a myopic view, because I was
22 looking at it from my roles and responsibilities
23 and those immediately around me, and wasn't looking
24 at it from a holistic perspective, and this is
25 where I'm going to change things that are on the

1 slide to the alternative model process -- the
2 alternative model approval process.

3 So my focus was the operation of
4 Clearinghouse, receiving information, processing
5 it, and doing my bid per Section 3.2 of Appendix W.
6 But what needed to be leaned was the whole process,
7 from the point that an applicant has something
8 that's not working and they need to do something
9 different to the end when that applicant gets the
10 approval from the regional office to use an
11 alternative model.

12 And so the goal was to streamline that
13 process. There were -- you know, historically, we
14 got some -- and I am gonna put air quotes around
15 Clearinghouse actions. Again, the alternative
16 models are approved by the regional office. The
17 Clearinghouse is just a cog in the process. But
18 there were a number from years past that had taken
19 multiple years to go through the full process, and
20 largely that's unacceptable for the applicant, and
21 it looks bad for the agency when processes take
22 that long.

23 So the leaning process is one that I
24 think that there are certain companies 3M probably
25 sponsors, because you are gonna use a lot of

1 Post-it Notes if you are not familiar with the LEAN
2 process, right? You start out -- and it's a
3 valuable exercise, even if you are not leaning
4 something, is to go through and try to figure out
5 what is your current state. How do you do
6 business? And not just have you define it. Have
7 your colleagues and peers that are interacting with
8 you all try to define this current state. And
9 it's -- you know, when you think of the forming and
10 the storming processes when you are doing business
11 management, this is really a storming process,
12 because everybody has a different perspective, and
13 you are going to peel and stick, and peel and stick
14 those Post-it Notes. And even today, I imagine, if
15 I could assemble the same group, we could go
16 upstairs to the room that we did this, I guarantee
17 if we tried to remap the current state that we were
18 operating under, we would come up with something
19 entirely different yet again, because those
20 perspectives change.

21 But nonetheless, we stormed out the
22 current state, and trying to define that, you also
23 get a lot of parking lot -- if you understand the
24 nomenclature, you get a lot of parking lot issues,
25 because that's where you disagree. And that's

1 where you get the opportunity to start looking at,
2 okay, if we all disagree on all these parts, and
3 there is all these things over here in the parking
4 lot that we all have to get accomplished, what is
5 our -- we call it the unicorn, but it's called the
6 future state. What do we want in the future? And
7 so we map those out. And it was a great process.
8 And again, this was beginning to end, from the
9 point the applicant has a twinkle in their eye that
10 they are going to do something that's alternative,
11 all the way to the end where the State is issuing
12 that permit, we want to see the whole thing and
13 its -- all its warts.

14 And so when we came out of this
15 process -- and it was just a couple of days -- you
16 see this is the 24th to the 27th of April -- we had
17 sort of four main areas that we thought that we
18 needed to implement moving forward, and they have
19 morphed a bit as we've moved forward. And I'm
20 going to do them a little bit -- I didn't put them
21 on the screen here in order, but really one of the
22 first things is we need to emphasize the ALPHA and
23 BETA options in AERMOD. And we were going to use
24 the communication pathway of the AERMOD Development
25 Update Plan. That's still not readily available.

1 You've seen the white papers. Ultimately, in the
2 next short bit we will have that plan out, and
3 that's where the white papers will also coexist,
4 but as has been seen in the 19191 release of AERMOD
5 and has been talked about over the last day and a
6 half, is that the ALPHAs and BETAs are here. We
7 are really pushing that now.

8 And Chris did an excellent job with his
9 presentation yesterday talking about the red, the
10 yellow, and the green, and the stop, the caution,
11 and the go. So please refer back to that, but that
12 is something that is sort of central now to our
13 moving forward, and it plays into how this leaned
14 Model Clearinghouse Operational Plan is going to
15 work. Those BETA options, those ALPHA options --
16 primarily the BETAs, though -- give us what we are
17 calling off-ramps, and I will get to that in a
18 minute.

19 So along with that new emphasis, we also
20 wanted to talk about the -- you know, process of
21 developing more training materials and
22 infrastructure to better facilitate, one, educating
23 everybody in the process, but also tracking the
24 process. And we really didn't have a good
25 mechanism, other than my email and kludging

1 together emails from the region to fully track
2 everything. And management had a desire, and we
3 also had the desire, to be able to more efficiently
4 track the process.

5 And in all of this -- and this is why
6 this was out of order, because once we put all
7 these pieces in place, then we could talk about
8 revising the Model Clearinghouse Operational Plan,
9 which up to now has been focused on just one part
10 of the whole process to be more expansive and
11 inclusive of the alternate model approval process.
12 And then we also, in this updating the Operational
13 Plan, the thoughts of establishing this through
14 joint coordination so we could explore other
15 possible solutions, because what we find when we
16 talk early on the front end, there is often
17 solutions that don't require you to go through the
18 entire process to even get an alternative model
19 approval, and that's another off-ramp.

20 So there is a report that we gave last
21 year at the workshop, and also represented in
22 Seattle if anybody is interested, at the bottom of
23 the screen.

24 So putting our money where our mouth is,
25 Chet Wayland, who was in here briefly earlier when

1 Anne was here, was posed with the situation that
2 this whole leaning process is something that Henry
3 Darwin brought to the agency over the last couple
4 of years. Well, Henry wanted to make sure that
5 senior management was taking it to heart, so he is
6 requiring all of the SES senior management to adopt
7 as a part of their performance plan, an A3 project.
8 And Chet comes knocking on the door and says,
9 "George, I think -- I really believe in what you
10 guys are doing with the Model Clearinghouse
11 leaning. I want to make that part of my A3
12 project." Well, that's great. I loved it. But at
13 the same time, our success hinges -- or Chet's
14 performance hinges on our success, and that's also
15 daunting. So we tied it, and over the last
16 probably six months, we have been working very
17 closely with Chet and going through a process of
18 implementing a tracking system.

19 If anybody is not familiar with the A3
20 process, if you are familiar with 6 SIGMA, there
21 are other management techniques out there, but the
22 A3 comes from the perspective of using A3 paper
23 size, and you plot everything out on A3 paper, and
24 that's the background on it. But it's very much
25 about visual management. And that's something,

1 back to the tracking, we didn't have. We had a lot
2 of, you know, technical kludged together details,
3 we had MCHISRS, but, you know, who goes and looks
4 at MCHISRS.

5 Anyway, we are sitting here -- what's
6 today, the 3rd of October -- so I am two days past
7 helping Chet meet his deadline of the A3 project.
8 Fortunately, Henry gave him a one-month extension.
9 Actually, gave all managers a one-month extension.
10 But I'm happy to report that we are there with what
11 we are trying to do. And what we did -- and
12 Chet -- this is pretty much the first perspective
13 Chet wanted to talk about, the tracking and the
14 coordination. Phase 2 I won't talk about today,
15 but there is actually -- this is going to be an
16 ongoing thing. Chet's building this over a number
17 of years. So this is a philosophical thing on
18 Chet's side, and this is proof positive that we are
19 going to continue to move this process forward.

20 But we were really trying to focus in on
21 the tracking. And at the time, at our disposal, we
22 have this sharing process, this SharePoint
23 Microsoft web-based collaboration platform. So
24 that's where we started, because that's what we
25 had. SharePoint is -- you know, a lot of

1 websites -- honestly, it's sort of a front end for
2 databases to sit behind it. I can sit here and say
3 it's clunky, but I'm on the record, and I'm already
4 on the record for talking about, what, beer, Monty
5 Python, Boy Scouts, and I think my son wanted me to
6 also put in something about Pokémon, so. So all
7 that's on the record, but I'm not going to sit here
8 and call out SharePoint as being something that's
9 not always the most efficient and the best, but it
10 has its warts. We adopted to it. We brought it
11 in, we started creating SharePoint sites for the
12 Clearinghouse, we started creating subsites for
13 the -- as they were popping up, the alternative
14 model processes that were starting. And Chet's
15 perspective was we had to accomplish two before
16 September 30th. So that was dependent on you guys.
17 We needed you guys to bring us problems, and we did
18 have a few.

19 Somewhere along the way, over the last
20 couple of months, though, Chet put me in contact
21 with somebody up in D.C., and the agency is
22 implementing Microsoft Teams. And Microsoft Teams,
23 there are several software packages out there, a
24 common one in the external community is Slack.
25 There are a few others. They are collaboration

1 platforms. Honestly, it's a front end for
2 SharePoint, but the beauty of it is it takes a lot
3 of the clunkiness out of it. It doesn't have as
4 many bells and whistles, but sometimes easier is
5 better. But it also offers us the opportunity,
6 back on the visual management perspective, to have
7 a storyboard where I could track individual
8 processes with the -- whose responsibility it is,
9 the deadline of what's due, if times are missed.
10 And that's the kind of thing that Chet can look at.
11 One screen, he can see where all these projects
12 are. Oh, they are these projects, they are in this
13 stage, this stage, or this stage. Here's who is
14 responsible for it, here's the due date. And if
15 there are other questions, and he needs to drill
16 down -- and since this is on the record, Chet, if
17 you get to where you need to drill down, contact
18 one of us. Don't drill down in Microsoft Teams.
19 But it is something that all the regional offices
20 will have access to, all the staff here in
21 headquarters will have access to, and the
22 management. Right now, we don't anticipate
23 extending much of the team's environment out to the
24 external community, because we do have CBI and
25 other types of things that we need to be wary of.

1 It's an internal process.

2 So coming out of the LEAN process, we
3 talked about the mapping of the future and the
4 current process. We started with 30ish steps, and
5 that was up to debate. We ended up with 23. I
6 know some people say, well, that's not a big time
7 savings. It will, actually, because the big part
8 of it was further defining the roles and
9 responsibilities in a very clear and concise way.
10 We were thinking where we had some processes that
11 we're taking up to two years, we are probably down
12 to four to six months on the ones that can take the
13 BETA option off-ramps to no more than a year for a
14 process that's coming in that doesn't fit in a BETA
15 world where you are kind of starting from scratch.
16 I'm not putting those -- it's not etched in stone.
17 Some will take longer, some will be shorter.

18 Weaknesses are all identified, and one
19 of those -- and this goes to the training -- you
20 know, a lot of people are just not familiar with
21 the process. They come with misconceptions. Even
22 people within the agency that worked in the agency
23 for a number of years don't fully understand the
24 process. That's why training is something we are
25 going to be emphasizing. The communications were a

1 problem. And then there were just things that were
2 unnecessary or just superfluous that didn't need to
3 be part of the process.

4 So what the teams environment, what we
5 are trying to do with the -- and everybody's heard
6 this big-call mentality, as we head toward more
7 collaboration, is transparency. Transparency,
8 focusing on efficiency, going through the process
9 with the training so that everybody's clear on what
10 we are doing, and we think that's going to get us
11 most of the way there.

12 All of this we didn't have. I talked
13 about the Clearinghouse Operational Plan. It
14 really talked internally of how we did a few things
15 for the Clearinghouse cog, but the rest of the
16 process on how applicants talk to the states, and
17 how the states talk to the region, how the region
18 talks to the Clearinghouse, that wasn't well
19 defined. On the back end, once we give the
20 Clearinghouse concurrence, how the regions are
21 formalizing and finalizing approval, and then
22 ultimately going to the state or the reviewing
23 authority, and for the final approval of the
24 applicant, it wasn't well defined.

25 So what do we need? SOPs. Yeah, that's

1 bureaucratic, but in this environment, this is
2 exactly what we needed. So establishing uniform
3 procedures all the way through the process, the
4 roles and responsibilities are critical. And this
5 is where we get the efficiency from. I won't read
6 all the data points here, you know, because this is
7 typical SOP nomenclature, but you know, focusing on
8 procedures, and how we are going to record things,
9 and the database. So this is all something that we
10 have mapped out.

11 It's busy. The slide that I have in
12 front of you now I have to give credit to
13 Rebecca Matichuk in the back of the room from
14 Region 8. But this is the 23 steps. These may end
15 up being 24, they may end up being 22 when
16 everything is finally said. This is the basic
17 world. And we ended up with five, sort of, basic
18 hoppers.

19 You've got the preliminary area where
20 this is -- if you want to call it -- if you are
21 going to do the four stages of management, this is
22 the forming place where you've got an issue, we
23 don't quite know what's going on with that issue,
24 there is a bunch of discussions that are going on
25 between the applicant and with the permit-reviewing

1 authority, and the region is just learning about
2 it.

3 Once the thing is a thing -- and see the
4 time scale here is literally a month. There should
5 be kind of a quick turnaround. We've got an issue,
6 we want to elevate it up. Well then the drafting
7 step, that may be misnamed a little bit, but this
8 is -- we are starting to get to the storming area,
9 because this is where the big call happens. And
10 this is where we are trying to really push the
11 applicants, the state, or try with whatever the
12 reviewing authority is, the regional office and
13 headquarters, we are all talking, because we are
14 storming about ideas. We are going through the
15 process of figuring out, how can we tackle this
16 thing.

17 And there may be off-ramps here. We may
18 come out of a call and, "Hey, guys, have you
19 considered this? This is a way you could do it."
20 It's a source characterization issue, it's
21 meteorology, what have you. It's not a formulation
22 thing. You are done. No alternative approval is
23 needed. Or have you considered this? And that
24 puts us back in this other hopper, because we may
25 throw some ideas out and change the course of the

1 way the applicant is looking at a project. That
2 sort of resets the clock, because they are storming
3 and then back to forming again.

4 But once a thing is a thing, we all
5 agree we are moving forward, there is really not an
6 initial off-ramp, then we move over into -- so
7 forming, storming, norming. So now we know we've
8 got a thing, and so this is where we are actually
9 starting the bureaucratic process of writing
10 reports, writing requests for approval, things are
11 coming to the Clearinghouse, the justifications are
12 coming together. And then these final steps, the
13 final two, are the performing part, because that's
14 where all the approvals happen and things move
15 downstream.

16 But all of that mapping out had never
17 been done. We are in the process of finishing this
18 up, and once we -- once the internal team of the
19 LEAN participants, once we are happy with where we
20 are, this is going to go out for review. We are
21 going to accept the informal comment on this, and
22 then it will be integrated into the Model
23 Clearinghouse Operational Plan. Along with that,
24 an ops plan, we are going to have a checklist.
25 Again, the roles and responsibilities, the

1 procedures people will follow. And we are hoping
2 to have a series of templates, because the more
3 templates that we can build, just sort of faster
4 efficiency, things that are built in the process so
5 the states will know exactly what blanks to fill
6 in, the regions will understand what blanks to fill
7 in. So that will expedite the process.

8 And then lastly, I wanted to really
9 quickly, not hold lunch up too much, but just talk
10 about the training. We kind of see the training
11 three phase. I don't know why you always have to
12 do things in three, but we are doing it in three.
13 We kind of see the internal training with the
14 regions. We've got a lot of turnover in staff. I
15 have heard the number of at least 10 percent
16 turnover in EPA staff now is what we're averaging.
17 A lot of people -- I'm not stopping. I'm the MC.
18 I have time. But the regional offices, we have got
19 a lot of staff turnover, and we've got a lot of new
20 people coming in. So anybody -- everybody within
21 the regional offices on the level playing field,
22 all of us with the same knowledge base, and then
23 having that training component in place for when
24 new people come in, that's critical.

25 Additionally, because we are talking

1 about the whole process from beginning to end, talk
2 about turnover in EPA, I think about the turnover
3 in all these reviewing authorities. I mean, that
4 is -- that is even more so constant, because we are
5 talking about a large number of agencies across the
6 country. And so through the state organizations,
7 through our annual workshop, just through some of
8 the training opportunities that we have in the
9 agency, we want to make sure there is a good
10 training package out there for the reviewing
11 authorities. And then finally, we would like to
12 host some training for the applicants as well.
13 Because again, if everybody understands the process
14 or remains a participant in that process, then we
15 are just going to make it more efficient.

16 So I have some slides here that will
17 just be in the record. I don't want to belabor
18 your lunch. It actually talks about different
19 components within each of the training modules that
20 we are trying to put together. So I am going to
21 step through those.

22 And last thing I wanted to do was
23 thank -- because there are several -- I want you to
24 stand up. So, Rebecca, are you in the room?
25 Please be in the room. You can raise your hand.

1 Rebecca is back there. I think I have seen John
2 Glass. Dave Healy wanted to be there. Ashley's in
3 the back. Annamaria is somewhere right up here in
4 the front. Who else am I missing? Oh, Chris.
5 Chris, Chris. This is our all-star team. And I
6 talked about many hands making light work. I will
7 tell you, just like I gave kudos to Rebecca a
8 little bit earlier, I'm tremendously busy, and I
9 know all of you are tremendously busy, and this is
10 one of those opportunities -- oh, Leiran is here
11 too. Sorry to be flighty. Leiran is in the back.
12 You are not forgotten, Region 1. But at times, I'm
13 extremely busy, sometimes those guys are, and
14 they've all stepped up, and they've been tremendous
15 supporters of this process, and I greatly
16 appreciate it, and Chet greatly appreciates it as
17 he gets his checkmark this year. So thank you to
18 everybody.

19 And with that, my slides are done, and
20 also -- three minutes ahead of schedule -- we will
21 break for lunch. And so we are going to take an
22 hour and 15 like yesterday. So I ask for everybody
23 to be back in the room at 1:00, and the focus is
24 going to shift just a little bit. We are going to
25 have a couple more EPA presentations, and then

1 we'll get into the public comment part. So I
2 hereby suspend the public hearing until 1:00.

3 (At this time, a recess was taken from
4 11:42 a.m. to 1:00 p.m.)

5 MR. BRIDGERS: Okay. Well, it looks
6 like it's 1:00, so I will reconvene the hearing.
7 We have a few more presentations from EPA staff,
8 and then we will transition into public comment
9 portion of the conference. So thank you for
10 finding your way back from lunch.

11 The next three presentations are all
12 kludged together between now and 1:00 -- excuse me,
13 between now and 2:00, focused on assessing impacts
14 from ozone and PM_{2.5}.

15 So without further ado, I am going to
16 call to the podium Kirk Baker with the Air Quality
17 Monitoring Group.

18 MR. BAKER: Thank you, George. I'm here
19 to transition us into the last afternoon. Also
20 going to be helping transition the EPA staff into a
21 less formal attire. So sorry I didn't wear a tie
22 today. I'll talk a little bit about doing
23 single-source assessments for secondary pollutants.

24 As part of the 2016 revisions to the
25 Guideline on Air Quality Models, our Appendix W, we

1 put forth this two-tier type of demonstration
2 approach for doing single-source impacts for ozone
3 secondary PM_{2.5} where the first tier would be trying
4 to take advantage of relevant existing technical
5 information that would relate precursor emissions
6 to downwind secondary impacts. The second tier
7 would be involving more case-specific situations
8 where a model would need to be run for a specific
9 situation.

10 One thing we want to point out with this
11 new section that we put into the revision to the
12 Guideline, Section 5, which focuses on secondary
13 impacts for single sources, is that that section
14 does not provide any type of requirement for
15 chemical transport modeling, but we do believe
16 that, if someone were going to do that type of
17 demonstration and do some modeling for a particular
18 permit application, that photochemical grid models
19 would be the most appropriate tool to use for that
20 purpose, simply because these tools provide a
21 spatially and temporally dynamic and realistic
22 chemical and physical environment for the plume to
23 exist in. A lot of the important secondary
24 formation is going to happen on the edges of the
25 plumes when these plumes start to interact with the

1 surrounding environment. So it's important that
2 the surrounding environment is realistic.

3 Lagrangian models by SCICHEM, when they
4 are applied with a realistic three-dimensional
5 field of chemical species, could also be used to
6 support single-source ozone or secondary $PM_{2.5}$
7 assessments.

8 So modeled emission rates for
9 precursors, or MERPs, can be viewed as a type of
10 Tier 1 demonstration where they are just relating
11 precursor emissions to secondary downwind impacts.
12 And for PSD, we would be thinking about something
13 like MERPs for each pollutant to the secondary --
14 for each precursor to secondary pollutant. So
15 there would be a MERP for VOC to ozone, NO_x to
16 ozone. And similarly for $PM_{2.5}$, SO_2 to $PM_{2.5}$, NO_x to
17 $PM_{2.5}$.

18 We provided a guidance document for Tier
19 1 demonstrations, and got the link and the title
20 for that as part of this bullet. So we've recently
21 finalized that and made that available on SCRAM in
22 20- -- April 2019. In addition to the Guidance
23 document being published online, we've got a
24 separate Excel spreadsheet available with all the
25 hypothetical single-source information that we

1 generated as part of developing that Guidance
2 document. So that's there as well, and it makes it
3 a lot easier to sort through and find information,
4 as opposed to the original draft version of
5 Guidance, where we had it all listed out in
6 appendices.

7 Some of the notable changes from the
8 draft version of that guidance document is that we
9 added a lot of additional hypothetical sources to
10 the final revision. We got a lot of comments that
11 there were parts of the country that didn't have
12 any information. So we tried to start filling in
13 some of those gaps. And we also provided more
14 detail on how to use existing modeling for
15 different types of NAAQS demonstrations and make
16 that more clear.

17 This is a schematic from the Guidance
18 document to kind of -- it kind of helps provide
19 this road map. So when you are doing a PSD
20 demonstration, first you would do a SIL type of
21 demonstration, then it would be project impacts are
22 greater than the SIL, move on to a cumulative
23 analysis, and separately there would be a PSD
24 Class 1 increment type of analysis. And we didn't
25 really speak much to that in the draft version. So

1 I think we have got a lot more complete information
2 this time around as to how people might want to go
3 about using existing credible information for these
4 different types of demonstrations.

5 The Tier 1 guidance document provides
6 impacts estimated with a photochemical grid model
7 for a variety of different hypothetical sources.
8 These hypothetical single sources that we modeled
9 were not intended to represent any specific sources
10 or types of industry, but we just wanted to kind of
11 provide some context about what types of secondary
12 impacts might you see from different types of
13 precursors and amounts in different parts of the
14 country, just because we didn't have a lot of
15 information about how much -- 500 tons of NO_x, how
16 much PM_{2.5} might that form in the atmosphere. And
17 how might that change in different parts of the
18 country. So we wanted to be able to provide people
19 some idea about what types of impacts might be
20 reasonable if they saw some new modeling come in as
21 part of the PSD permit applications.

22 And in addition, in some situations, the
23 information that we develop as part of this process
24 in making the guidance document could be used to
25 support an actual Tier 1 demonstration, and we have

1 been seeing some of that.

2 On the right, I have got a map of the
3 hypothetical sources that we modeled and are part
4 of the final version of the guidance document.
5 Those are all colored in blue. And we've got a new
6 effort underway to add even more sources, and those
7 are shown in red. So we are going to be adding
8 even more sources to the database. We are not
9 gonna be redoing the Guidance document and
10 republishing that, but we do envision the
11 hypothetical source impact database being much more
12 fluid and periodically being updated as newer and
13 maybe better information becomes available that
14 people might want to be able to use.

15 This is a plot of MERPs or $PM_{2.5}$, daily
16 $PM_{2.5}$ on the left columns, annual in the center, and
17 ozone on the right. Basically just illustrating
18 that there is -- there is a lot of differences
19 regionally, in terms of how much secondary plumes
20 get formed from different precursors. So it is
21 important to have a good, robust database to draw
22 upon for different types of -- for future
23 demonstrations.

24 We got a lot of comments from people in
25 the draft guidance about why some sources, even

1 when they are very close to each other, we get very
2 different responses for secondary PM_{2.5}, and so in
3 the revised version of the Guidance document we get
4 into that in a little bit more detail.

5 An example of how that might come to be.
6 So what I'm showing here are two hypothetical
7 sources we modeled in western North Dakota. They
8 are pretty close together, but, you know, when we
9 did these hypothetical sources, we had kind of a
10 generic algorithm that was just putting them
11 somewhat near existing industrial point sources,
12 and we didn't think a whole lot about where they
13 were actually at and look at every one of them.
14 And in this situation, one of the hypothetical
15 sources is located right next to an enormous
16 confined animal operation. So there is a
17 continuous huge emissions source of ammonia there.

18 So depending on the meteorology, these
19 two sources, even though they are close to each
20 other, one is right next to a confined animal
21 operation with a lot of fresh available ammonia,
22 and they both have a relatively close proximity to
23 the Butkin Oil Shell with a lot of fresh NO_x
24 emissions. So depending on how the winds are
25 blowing, you could get pretty different impacts

1 downwind from these two sources, even though they
2 would be -- they are hypothetically emitting the
3 same amount of emissions into the -- a pretty
4 similar general region.

5 Tier 2 demonstrations. Just want to
6 point out that a Tier 1 demonstration is not a
7 requirement before doing a Tier 2 demonstration.
8 We don't anticipate a lot of actual case-specific
9 Tier 2 demonstrations. So far we have seen quite a
10 few Tier 1's and we have not seen any Tier 2. But
11 if someone was in a situation where a Tier 2
12 demonstration would be of interest to somebody,
13 they wanted to do that, we do have a Guidance
14 document available, and I have got that listed out
15 here, that talks about how you would set up a model
16 to do that, configure it, apply it, and look at the
17 results in a way that would be consistent for this
18 type of purpose. And I also want to point out
19 that, even within this second tier, we tried to
20 afford a lot of flexibility in the guidance
21 document.

22 So if you -- depending on the complexity
23 of the model application, you can be -- you have
24 some room to work with, in terms of which model
25 predictions are being compared against a SIL and

1 NAAQS. So if you do a very complex application,
2 you might not need to use the most conservative
3 estimate coming out of the model, and do something
4 a little less conservative. So we try to afford
5 flexibility even within this particular tier.

6 This is a list of all the different
7 applicable guidance documents. The red ones are
8 the ones that are published, and the one on the
9 bottom is in preparation. I think George is going
10 to talk more about that next.

11 We have prepared a memorandum that shows
12 that CAMx and CMAQ photochemical models are
13 appropriate for the purposes of estimating ozone
14 and secondary PM_{2.5} for permit-related
15 demonstrations.

16 The Guideline outlines that -- the
17 elements that are needed to provide an alternative
18 model demonstration in situations where no
19 preferred model exists, which would be the
20 situation here for secondary impacts. So we wanted
21 to go ahead and just develop a memorandum for these
22 photochemical models so that people could point to
23 them as part of -- for purpose component of the
24 alternative model demonstration. This doesn't
25 replace the need to provide project-specific

1 evaluations that focus on how well the model is
2 performing around the project source and your key
3 receptor locations, but it does provide that fit
4 for purpose component so that everyone doesn't have
5 to do that separately.

6 In addition, if people do get in a
7 situation where they want to do a case-specific
8 type of demonstration, we provided some tools or
9 developed some tools that could hopefully be a
10 starting point to help people take an existing
11 modeling platform that maybe you get from a state
12 as part of an attainment demonstration or an MJO
13 and then add in your hypothetical -- or your new
14 source, your modified source. So we've got some
15 tools to try to make that a little bit easier and
16 available in GitHub.

17 I think there is a lot of platforms that
18 are available out there to do Tier 2 demonstrations
19 on, or even as a platform to do your own Tier 1
20 type of demonstration where you could make your own
21 MERPs on top of a database that might have already
22 been generated for another type of purpose like
23 regional haze or ozone, $PM_{2.5}$ SIP demonstrations.

24 And this is just a list of some of the
25 multi-jurisdictional organizations that have

1 familiarity with photochemical grid modeling, and
2 if they don't have modeling themselves, they could
3 probably point you to someone in the region or area
4 that would have something that might be relevant or
5 a good starting point for use.

6 So we have got a few different talks
7 during this particular hour. So I kind of wanted
8 to just provide some background on what we are
9 doing for the guidance for the Tier 1 and Tier 2,
10 and then we have got two people following me that
11 are going to get into more case-specific samples.
12 Because I think, at this point in the process,
13 that's really the more interesting part of this,
14 and we want to focus more of the time on that
15 particular aspect of this.

16 So I'm gonna turn it over to Leiran next
17 to talk about one of the samples he has. I don't
18 quite see what's going on here with the laptop, so
19 I will let them figure out how to get the
20 presentation.

21 MR. BITON: All right. Thanks, Kirk.
22 So I'm going to be going through an example, like
23 Kirk mentioned, for applying this type of approach
24 for a single source on -- for $PM_{2.5}$ only, for a
25 remote Class 1 area. So looking at the Class 1

1 area SILs -- and throughout this example, I will be
2 -- I'm referring to an example source. That's this
3 orange blob in the corner. I will represent it on
4 the map. The emissions profile of this source is
5 100 tons per year of $PM_{2.5}$ and 3,000 tons per year
6 of NO_x . This is a source located on the outer
7 continental shelf. I will just note that that
8 level of emissions represents one year of
9 emissions, and I'm not gonna get into the details
10 of this, but OCS permitting regulations require
11 treatment of construction and installation
12 emissions, as well as transportation emissions, in
13 the permitting process. So that's why this type of
14 source profile exists in the modeling here for an
15 OCS source. And apologies to Joe Sabato in the
16 audience here for any similarities this source may
17 have to a project that he may have worked on. I
18 will also just note that this is 300 km from the
19 nearest Class 1 area. And Section 4.2 of Appendix
20 W outlines the types of assessments that you can
21 have for addressing single-source impacts on remote
22 Class 1 areas, so long-range transport.

23 The first level of assessment is
24 assessing impacts at the 50 km distance using the
25 tools that we have and are all familiar with. And

1 the second-level assessment is addressing those
2 impacts in -- typically the Guideline says you
3 would use the Lagrangian model. In this case, we
4 are using information from the illustrative CMAQ
5 and CAMx modeling from the Guidance, April 2019
6 Guidance, to inform that second-level assessment.
7 So I'll just focus first on secondary impacts.

8 For both the first-level and
9 second-level assessment we are using the
10 information from the MERPs modeling, and we are
11 just gonna look at one hypothetical source from the
12 MERPs modeling in particular, and that's this green
13 star, which throughout the rest of the presentation
14 I will represent as the green star on the map as
15 well. That's a 500-tons-per-year NO_x source.

16 So the concentration gradient that you
17 see here on this map represents the impacts from
18 that hypothetical source on the region, and you can
19 see that there is, you know, an interaction
20 between, obviously, the terrain and other
21 meteorological features, other emitting sources
22 that result in, you know, a unique distribution of
23 concentrations around that hypothetical source.
24 And you wouldn't necessarily expect, even if that
25 hypothetical source is representative of your

1 sample source, that distribution to be exactly the
2 same around your example source. So that's why we
3 look at impacts as a function of distance overall
4 rather than, you know, looking at the certain
5 direction that you would have emissions going to
6 around from the example source to the area of
7 interest, which here on this map is -- the Class 1
8 area is that little yellow blob in southeastern
9 Vermont.

10 So returning back to this impacts by
11 distance, this is -- and Mike will go into this in
12 greater detail -- this is the approach that we use
13 to identify the impacts at various distance
14 measures. So at 50 km you can see there is kind of
15 a dip in the hypothetical source's impact profile,
16 but that actually picks up due to, you know,
17 whatever factors in the modeling led to higher
18 concentrations at a 90 km distance. So we select
19 that value from 90 km to be appropriately
20 representative of the impacts at 50. So that value
21 is 0.032 micrograms per cubic meter. Our example
22 source is 3,000 tons per year of NO_x compared to
23 the 500 tons per year of NO_x. So we take the
24 simple ratios of those values, 3,500 -- that's 6
25 for those counting -- multiply that by 0.032 to get

1 the secondary impact value of 0.192. That is
2 representative of the 50 km impacts of our example
3 source.

4 For primary source, it's easy. You run
5 OCD. You are out on -- over water. It's
6 appropriate to run that model. Everyone knows you
7 can just plug the numbers in. Out pops your, in
8 this case, 0.2 micrograms per cubic meter, a number
9 I made up for this example. No, in all
10 seriousness, OCD is a -- can be, obviously, a major
11 modeling effort, and that is the resulting impact.
12 To get the total impact, you then sum primary and
13 secondary to get a value of 0.392 micrograms per
14 cubic meter, that exceeds the Class 1 area SIL for
15 $PM_{2.5}$, that value, 0.27.

16 So -- now that would require a
17 second-level assessment. So how do we do that? We
18 are now looking at the distance representative of
19 the distance from the sample source to the Class 1
20 area. So that's 300 km, as I said before. So
21 looking at our impacts by distance little profile
22 here, again, there is a little dip at 300, so we
23 are going to look just beyond it to 310 km and find
24 an impact level of 0.01 micrograms per cubic meter.
25 We'll apply the same linear scaling factor of 3,000

1 over 500, multiply by 6 to get secondary impact of
2 0.06. Okay, well, hopefully everyone's with me so
3 far, but how do we get primary impacts? Now, as I
4 said before, typically one would do -- in the
5 Guideline it states typically a Lagrangian
6 analysis. That is an option. However, I encourage
7 everyone to look at the table provided in the
8 April 2019 Guidance, Table 4-2, which provides,
9 certainly for PM_{2.5} -- I don't know about other
10 pollutants, because I didn't review it that
11 carefully -- an array of different emission rates,
12 distances from areas of interest, 100, 200, and 300
13 km distances for tall stack and surface releases.

14 So, in this case, we have 100 ton per
15 year -- again, this is the direct PM_{2.5} impacts --
16 100-ton-per-year source, releasing near the
17 surface, so target in our table a value of 0.023.
18 There is no scaling necessary, because conveniently
19 our emission rate matches -- for the source matches
20 the value presented in the table, but otherwise you
21 could do some scaling here to get that number. And
22 then you add these values 0.02 -- 0.0123 plus 0.06
23 gets you 0.0723, and that would pass the
24 significance screening approach of 0.027 [sic] for
25 the source.

1 Now, I will note, just before I hand the
2 podium over to Mike, that there was no OCD modeling
3 for this second-level assessment. One does not
4 necessarily need to go through a first-tier
5 screening assessment -- or first-level assessment.
6 If you have the information you need to go straight
7 directly into a second-level assessment, in
8 consultation with the reviewing authority in your
9 regional office, I don't see a reason why that need
10 not be -- you know, that wouldn't be an option. So
11 with that, I will hand it over to Mike.

12 MR. MOELLER: Great. Thank you. Hi,
13 everybody. My name is Mike Moeller. I'm currently
14 in the modeler Region 4. And I am going to go over
15 a presentation that, unfortunately, if you attended
16 the RSL Modeler's Conference in Seattle, this is
17 going to be very, very, very similar. And also
18 this is actually on a MERP webinar that we had done
19 with Kirk and Ron as well, so for those of you, the
20 slides will be nearly identical. So for that, I
21 apologize, but what will be unique about this for
22 those who have seen it is we are going to do a demo
23 in the end of a new application that I was working
24 with Kirk Baker on that I think will be possibly a
25 very helpful tool for showing demonstrations moving

1 forward. So, again, I will cover that in the end.

2 So here I'm going to go through a Tier 1
3 $PM_{2.5}$ MERP demonstration through an example, a
4 step-by-step how to apply it, and particularly for
5 a Class 2 analysis. So Leiran really covered a
6 good example for Class 1 and then sort of a far
7 afield. Here I am going to look for just pretty
8 much Class 2 only.

9 So again, this is for pretty much the
10 prescriptive process that we, in Region 4,
11 especially, for our applicants, we suggest they go
12 through when using -- again, showing demonstration
13 of a hypothetical MERPs. And that is first, you
14 know, when addressing secondary $PM_{2.5}$ to do this.

15 So first start off just looking at the
16 lowest, mostly conservative illustrative MERP that
17 is the current MERPs guidance, and that's what you
18 see in Table 4-1. Those are the illustrative MERPs
19 which are listed out by climate zone, and then you
20 can see in here in 3-4 that is the climate zone
21 breakdown that is currently listed for describing
22 the guidance.

23 And so here what you do is, you know,
24 wherever your source is located, you know, and
25 whatever climate zone that is, start there, and

1 look at what the illustrative MERP is. So, you
2 know, for example, in the Southeast, if it's in
3 Georgia, you pick the Southeast climate zone and
4 then look at the corresponding -- you know, in this
5 case, $PM_{2.5}$ for the illustrative MERP. And we use
6 that and see when addressing, you know, calculating
7 the secondary component based on NO_x SO_2 emissions
8 that that, in conjunction with your primary, to see
9 how -- where that gets you. And really, at that
10 point, is to see is that too conservative, or would
11 that -- you know, if it is conservative anyway, if
12 that is enough to satisfy your below the SIL,
13 because in that case, it's a very easy
14 demonstration to do. It's very easy to document,
15 and then you are good to go and you no longer need
16 to move on. So that's why we recommend just
17 starting there on step 1. But for many, that may
18 or may not work. There are certainly instances
19 where some of those are very conservative and don't
20 -- are not representative or apply to all, you
21 know, projects in a rather larger region.

22 So that's where in that case we would
23 move on to step 2. And step 2 would be pretty much
24 to just sort of isolate and look at the closest
25 nearby hypothetical sources to your project source.

1 So here, you know, you can sort of think of it as
2 -- so you have your project source, and you would
3 just screen the closest two or three. You know,
4 just pick an imaginary circle and just sort of
5 expand it and see which ones, you know, are
6 captured by that. And so here, again, you are
7 trying to just really hone in on more of the
8 representative sources that are nearby the project
9 or the applicant source.

10 So here, once you've narrowed those down
11 to two or three, what you then would do is to just,
12 of those two or three, pick the most conservative.
13 So instead of doing any further analysis, just grab
14 those two or three. Look back at the -- in this
15 case, you would actually go in and look at the
16 Excel spreadsheet that Kirk had mentioned is on
17 SCRAM, and you look up specifically those sources,
18 you know, what are their MERPs values, and then you
19 would calculate it. You know, you calculate your
20 secondary component as you have done in step 1.
21 Add it to your primary, and see where that gets
22 you. At this point, you know, again, you can see
23 it shows that, you know, above or below the SIL,
24 and then based on that is really whether or not you
25 go to step 3.

1 And so, at this point, if you had done
2 this analysis and found that you were still
3 above -- you were actually above the SIL, but you
4 felt that the nearest -- you know, the most
5 conservative nearby one was still too conservative,
6 you felt that it wasn't representative, is where
7 you would go to this step 3. And that's where,
8 again, you look at those same nearby sources, but
9 you feel that one, maybe it's a little further
10 away, or maybe something was conservative, but you
11 feel that it's most representative. And this is
12 where now you would go ahead and, you know, pick
13 that source, that MERP source that you, again think
14 is most representative and provide some information
15 and some justification to actually use that, you
16 know, and really hear what I'm trying to outline as
17 information that can be used. It's some of the
18 things we look for in Region 4 in our application
19 to, again, provide a justification as to why you
20 are selecting a nearby source, but it's not the
21 most conservative. And so some of the things
22 here -- again, it's not an exhaustive list nor is
23 it necessarily ranked in order of importance, but
24 some of the big ones that jump out are at least
25 terrain. You know, the terrain features; is there

1 anything unique with the project source that is
2 more representative than another hypothetical
3 source? The rural or urban nature between the two,
4 that's a big one, as well as the nearby sources of
5 pollution. You look at the NEI and do even a basic
6 county-level emission breakdown of the, say, NO_x
7 and SO₂ or PM_{2.5} and see the distribution between
8 the sources and see where that compares. And then
9 there is other things too, like climatological
10 parameters as well as ambient concentrations of
11 other background pollutants where available.

12 So it's really just creating an argument
13 to say, hey, look, this is not the most
14 conservative year by MERP, but we feel it is most
15 representative, and this is why, A, B, and C. We
16 had several applicants in Region 4 do that
17 successfully where they haven't chosen the most
18 conservative, but there was a good argument, there
19 was a more representative one, and they were able
20 to use that.

21 And then, obviously, if neither of the
22 steps work, then you just need to take -- account
23 for the secondary and then move on to a full
24 cumulative analysis, but also send your information
25 forward. So this is just, again, step-by-step

1 process of how we view the MERPs Tier 1
2 demonstrations.

3 And what I will do next is just go over
4 sort of a brief really simplified example of how to
5 use those steps. And again, I will just sort of --
6 some calculations on how they are done and things
7 like that and how it looks like. So in this case
8 we are just gonna say it's a fictional project
9 source. We are going to say it's in central
10 Florida. To make it easy, I say it was 100 tons
11 per year of NO_x and SO₂, and it modeled -- you know,
12 we assumed it modeled the primary PM_{2.5} at 1
13 microgram. And again, we are comparing against the
14 24-hour Class 2 SILs. You can do it for annual as
15 well, but here we are just going to do a class -- a
16 24-hour Class 2 SIL analysis.

17 So here I was just reiterating there is
18 several ways to really assess or to calculate using
19 the MERPs. You can use it pretty much calculated
20 in the form of a percentage of the SIL. If you
21 want to calculate, you know, convert the primary to
22 the percentage of the SIL, and then as well as the
23 secondary based off the MERPs, and again, you
24 calculate a percentage, add it up, and if it's
25 below the SIL is how you know if you need to go on

1 to do cumulative or not. Or you could convert it
2 into ug/m³ or ppb if are you doing ozone or vice
3 versa. So it's just a way to show you, you see
4 some algebra and just whatever form is easiest for
5 you to understand and do. It's just that you can
6 play with it, and there is not one, you know,
7 specific way of representing it.

8 So here I'm going to go over that step
9 1. Like I said, you would use the lowest -- the
10 illustrative MERP from the Southeast climate zone,
11 since we are looking at Florida. So you would pull
12 that table that I had. And so what we are asking
13 here is using that conservative illustrative MERP
14 for the climate zone as the primary and secondary
15 grid in the SIL. And so that's where I am going
16 through here. It's just a step by step. I know
17 there is a lot of things on there to be distracted
18 by, but really, again, I just extracted, you'll see
19 in the top right, that's the illustrative MERP for
20 the region. You take that, and you are just going
21 to divide your emissions total -- you know, your
22 project emissions, the 100 tons divided by the
23 MERPs value to grab from there. And here is
24 representative, it's either a percentage, 50
25 percent, or as a -- if you multiply by the SIL

1 you'll get an actual ug/m³. And at that point, you
2 know, at the bottom here, we are just then summing
3 that with the primary component. And you can see
4 it's above the SIL. So using the most
5 conservative -- conservative MERP from the
6 Southeast region, you can see you are above. So if
7 you were to stop here, it would indicate you do a
8 cumulative analysis. But in this case, for this
9 source, they will leave going to step 2 and want to
10 look at a more refined, you know, let's say the
11 closest nearby sources.

12 So here, again, as you are saying, okay,
13 no, step 1 didn't work, so we are going on to step
14 2. Like I said, we are going to look at the lowest
15 conservative MERP from nearby sources --
16 hypothetical sources.

17 So here now doing that -- and I have
18 already done an extraction. Like I said, you put a
19 sort of imaginary circle, you know, kind of around
20 your project source so you have it in central
21 Florida, and here it said, okay, it was the three
22 sources there, which are in Bay County, Tallapoosa,
23 and Autauga from Alabama. And so there you do what
24 I have highlighted. I pulled this out from the
25 Excel on the far right. This is from the MERPs

1 spreadsheet that's on SCRAM. Pulled out, you know,
2 what is the most conservative MERP for those three,
3 and it happens to be the Bay County, Florida. And
4 so as you can see, it's in the panhandle there.
5 And if you use that MERP, what you'll find,
6 unfortunately, is that it's actually the same exact
7 values that we'll go over real quick, that you will
8 see it's the same exact numbers. And that is
9 actually due to the fact that this source is
10 actually setting the illustrative MERP for the
11 southeast region.

12 So that happens to be -- unfortunately,
13 for this project case, that happens to be the most
14 conservative for the region, so step 2 does not
15 help. But that does leave the final step, and that
16 is where, in this case -- again, here showing that
17 didn't work. Step 3 is to look at, okay, well, is
18 one of those other three that are nearby -- is one
19 more representative? Is it clearly, you know, that
20 Bay County is not representative, another one is,
21 and see what will work with that.

22 And so here -- you know, I'm gonna kind
23 of skip -- this is information that could be used,
24 and I had mentioned it earlier, and I didn't
25 provide a write-up or anything like that that

1 everybody could see, but I think even just doing a
2 quick review of this, there is actually almost a
3 logical way of seeing how the Bay County one
4 wouldn't necessarily be representative. And that's
5 just due to the fact that, if you see our project
6 source, it's in central Florida, but Bay County
7 actually happens to be right on the coast. So
8 right off the bat you have a good argument saying
9 you have this hypothetical source that's right on
10 the panhandle and coast. There is likely some sort
11 of, you know, ocean/land interface going on. You
12 know, the terrain is obviously just likely very
13 different.

14 And so that -- I don't know if that's
15 the reason why it's setting, you know, the MERP
16 value so low, but you have a good argument right
17 off the -- again, right off the bat that that is --
18 Bay County likely isn't the most representative for
19 this particular case. And so that's why I'm just
20 saying here, for this instance, without going any
21 deeper than that, you know, very broad terrain
22 overview, that we are going to say that Tallapoosa
23 was -- and bear with me -- and we will agree that
24 it is. And I can confirm that it's in a similar
25 rural area and there's not a lot of emissions or

1 industry or
2 rural -- urban is very similar.

3 But if you redo that calculation now
4 with Tallapoosa, and assuming you did your
5 justification, you redo that analysis, you can see
6 now, when you add your secondary plus your primary,
7 that you are actually below the Class 2 SIL. So in
8 this case, you would actually satisfy, you know,
9 the requirement, and addressing that without
10 needing to do a cumulative analysis.

11 So here, by going through this and
12 providing the justification, you know, in Region 4,
13 especially, which, again, we have seen this, you
14 know, we would -- as long as we agree with your
15 write-up and justification for it, I do agree with
16 that, and agree that is satisfied addressing the
17 secondary component of $PM_{2.5}$. And, again, that's
18 just showing you reached that and you are good to
19 go.

20 And then, lastly, this is just sort of a
21 quick, just, diagram to illustrate the exact
22 process I went through. And this is just a summary
23 for everybody. And I think it's -- everyone's well
24 aware of this now, but, you know, really, it's just
25 to highlight the fact that you really -- in the

1 beginning, you just got to make sure you address
2 secondary component. And really, you address it in
3 all stages. You know, for example, you got to
4 address it during the SIL analysis, and that's
5 Class 2 and Class 1. I know we just covered Class
6 2, but here that is what I am asking. And so is it
7 -- is it less than the SIL? And then you would
8 have satisfied that, you know, in this case, the
9 daily $PM_{2.5}$ analysis. But if you are above, then
10 you do have to do cumulative. And when you do that
11 cumulative, it's important to make sure you
12 incorporate secondary and all cumulative analysis.
13 So if it were increment and a NAAQS, whatever your
14 model primary is and in your background for the
15 NAAQS, you also need to address the secondary
16 component as well, using the similar steps we just
17 went through. So it doesn't go away, even if you
18 do or do not. I'm sure you will go above the SIL.

19 So at that point, I think that's --
20 okay. So that's all the -- yeah. That's the
21 previous presentation I think you may have seen,
22 but that covers sort of a quick example. So we are
23 going to talk about next, actually, is something
24 that is new, and again, working with OAQPS and
25 especially Kirk on this paper, sort of develop a

1 tool that might make it more accessible to access a
2 lot of this MERP information. Luckily, now having
3 it as a spreadsheet is very helpful, as Kirk has
4 presented, but we were looking for even a better
5 way to visualize it or to quickly access what an
6 end user might want.

7 And so we developed this based on the
8 ClickUp software. And I don't know if many of you
9 are familiar with it or not. It was actually my
10 first time using it, but it actually more or less
11 worked out okay. It does definitely make it easy
12 -- or easier to sort of program for a web-based
13 application. And so we pretty much used this,
14 again, software develop a way that really accesses
15 just the MERPs data that is currently available as
16 well as more refined data. As Leiran was showing
17 his presentation, where you are looking at those
18 far fields, you are looking at distances beyond 50
19 km on the concentrations, where if you are looking
20 at Class 1 analyses, we found this is a good way,
21 as we think, to provide this information and to
22 demonstrate it.

23 So right now we are pretty much done
24 with it. We just, you know, we have to touch it up
25 a bit. I know there is a whole process to getting

1 it accessible to the public and through, you know,
2 all the protocol that goes with government and
3 getting those things accessible. But hopefully, if
4 I just click this, it will take you directly to the
5 app. It might take a little bit to load. And
6 hopefully, when it is published, it won't take a
7 while to load. I'm not sure. I don't think it
8 will show Click like that. I have seen many other
9 EPA actually -- programs actually use this for -- I
10 think NEI had used it in some cases and other tools
11 where it won't necessarily look like this. This is
12 sort of the behind-the-scenes developer sort of
13 view, and so you've got to load in, and it's kind
14 of slow and clunky. So this isn't what it would
15 finally look like, but this is a -- a good view
16 of -- all the features should stay the same and it
17 would just visually look a little more polished.

18 Excuse me. So here we have -- in this
19 case we are just gonna -- just start here, and it
20 may look something similar to this. It might have
21 a title screen, but this is pretty much one of the
22 main screens you will see. So I might use some
23 Post-its mostly there.

24 So here we have is -- you always see in
25 the center you have this interactive map. And

1 really what this is highlighting is each one of
2 these little blue dots is actually a hypothetical
3 MERP source. So what you have here is just off the
4 bat, if you just wanted to look up -- you will see
5 to the right, sorry, you have a table of the MERP
6 values, themselves. So you actually have it listed
7 out by the state, the county, the specific form of
8 the NO_x you are looking for and emissions. And
9 then you could actually scroll this table. It's
10 hard to see. Also on this laptop, because it's
11 projecting it. So I don't know if I could scroll
12 over it very easily. Just for instance, I will
13 just play with it a bit. In case you are just
14 curious, okay, St. Louis, if you just click on one
15 of them -- as soon as you click it, you see it
16 already highlights and filters to your right, the
17 table. And again, it just happen -- here we go, it
18 showed up. So what you can see here is the full
19 data. You could just scroll over, and you can see
20 the emissions. This is your scenarios. This is
21 your -- the stack heights, the low or high, and
22 it's giving you the MERP value right here. So you
23 could literally just grab it instead of having to
24 go -- whoops. I didn't mean to do that one, but it
25 shows you the fact that you could easily just grab

1 and play with the data, you know, instead of going
2 through a spreadsheet or getting confused with
3 that. I mean, you could exit out of a selection
4 there and it will just undo it.

5 And what it also actually had -- and I
6 will touch upon in a little more detail on it, but
7 it has sort of what Leiran was mentioning in his
8 Class 1 longer-distance analysis is you have this
9 table on the right where it actually lists out the
10 maximum concentration here greater than 50 km.
11 This is sort of that first step when you are doing,
12 again, a Class 1, you are looking well beyond -- or
13 beyond 50 km for a secondary component. Here you
14 have sort of that first step 1 analysis where you
15 are looking at the far afield results in
16 concentration. So it's sort of a quick way to grab
17 it. I didn't mean to highlight that, but let me
18 get rid of it.

19 So here again, it's listing for the
20 source all the different stacks and all the
21 different parameters, but you could easily also go
22 over here and say, okay, you only care about the
23 low stack, sure. You know, you only care about NO_x
24 in this case, and you just hit these checkmarks.
25 And it will further and further filter it for you

1 on the right to get exactly what you want. So you
2 either click through the table or you can click
3 through, again, the drop-downs. And then what you
4 can also do in the end is actually just print this
5 as a -- I believe it's a PDF or an Excel. I don't
6 know how to do it easily here with this. Well,
7 there is an option on here. I forget if you
8 right-click one of these, and you could actually
9 just download this specifically as a CSV and -- to
10 manipulate and play with it. And so --
11 unfortunately, this sidebar is gone, so I can't
12 scroll down, but if you were able to scroll down, I
13 could clear this. Maybe if I -- that seemed to
14 give a little bit. I could clear all now. That
15 helps to just reset everything. You know, if you
16 get narrowed down, you could do that, or at the
17 top, you could exit out of it.

18 That's one feature of it. You know,
19 another, if you were curious, okay, you want to see
20 a select few of them, there is actually a tool in
21 here. This is like a little selection you could
22 turn on, circle selection it's called. Let's say
23 you want to see, you know, your project source in
24 the Northwest, and you want to grab a couple of
25 these. So you just do -- okay, I want to just do

1 this. And it's gonna select them for you and then
2 filter out all the data on the right. So again,
3 just another way to parse your data to look at
4 specifically what you want to grab.

5 And then, similarly, you can also do
6 like a lasso I think it's called here. You could
7 just go and you want to do something crazy, you
8 could just draw your own little polygon or
9 something and grab it, and it will allow you to hit
10 accept, and it will, again, filter it and zoom in.
11 And so again, it's a great way to -- if you were
12 looking at specific sources, a way to narrow them.

13 And then I could just highlight this
14 now. You can toggle between, again, sort of -- the
15 base map, which is, you know, just sort of a
16 national map, but here's actually a terrain map.
17 It doesn't really give you terrain heights or
18 anything, necessarily, but you could sort of see
19 some of what the terrain is. It sort of gives you
20 a little bit of a feel to compare, I guess, broadly
21 what some of the terrain looks like nearby. And
22 especially if you zoom in on some of these, you
23 know, it will look a little more -- it will give
24 you just a little more detail to help you determine
25 comparing other sources and others.

1 And also, similarly to that, when you
2 are comparing other sources, you could also click
3 this metadata tab, and what that's going to do is
4 take your sources selected and it's gonna give you
5 just more information. So this is information
6 that's currently available on the MERPs spreadsheet
7 that's on SCRAM, but it's just -- I'm just here
8 including it as secondary. So it's just showing
9 you what the mean -- you know, what the modeling is
10 associated in. It's going to give you the FIPS
11 code, in case you want to grab the county or
12 something. It's going to give you the climate
13 zone, and then it's also, I think, just gonna give
14 you a few other -- latitude and longitude, and the
15 terrain height average, and the nearby urban, I
16 guess, the maximum, I think, percentage. And
17 that's, again, from the SCRAM -- the MERPs
18 spreadsheet. But it's just highlighted here in
19 case you want to compare some metadata.

20 So that's a cool way, again, to grab --
21 that's the illustrated MERPs, and that's the same
22 exact info that's in the spreadsheet, but it's just
23 another way to visualize it here and to extract the
24 data.

25 And so what I will show next is -- is

1 sort of the other piece, which is sort of the
2 refined data, again, that Leiron was going into a
3 lot of, and -- let me select a source now. So you
4 could select one of these sources, and let's say
5 you wanted to know -- you know, you have a Class 1
6 area that's, you know, 200 km away, and you want
7 some refined data, and there just happens to be a
8 source, what you can do is go up here at the top in
9 the AQ data, and so -- for air quality -- and you
10 click that, it's gonna change -- it's gonna keep
11 the same exact map, you have the same exact
12 drop-down, but what it's going to do is give you on
13 the right -- and if I could scroll over, it's gonna
14 give you that distance base concentration for each
15 hypothetical source.

16 So what you are gonna see here is -- let
17 me find the distance -- so it shows -- you see this
18 distance tab. So now it's gonna prescribe at every
19 10 km interval, whichever source you click, it's
20 gonna give you the maximum concentration from that
21 pollutant, whether it's NO_x or SO₂ from PM_{2.5} out to
22 300 km. And so that's if, let's say, you know, you
23 are looking at a specific one where you need to
24 look at, you know, beyond 200 km impacts, so your
25 Class 1 analysis, you would go down to 200 km or,

1 you know, let's just say 250, and you can extract
2 your concentration, which is over here
3 (indicating). And so this gives you a way -- I
4 mean, I had previously provided this to Region 4
5 applicants, provided a PDF sort of table, but in
6 this case, you can actually go in and extract it or
7 at least compare it for yourself as well. And I
8 wish it would just show me how to extract it,
9 because it's really simple. You look -- here you
10 go, export, and you would export as a PDF as it
11 asks for the date of the CSV, and it will just grab
12 whatever you guys selected, it was easily exported
13 for you to play with on your own.

14 And then I guess the other thing to
15 touch upon here is if I can -- sort of these charts
16 on the bottom. You can see they are also
17 interactive, and they have been moving as I filter
18 things. But here's the way I sort of visualize --
19 and, unfortunately, on the bottom, everything
20 important about the legend is cut off, but what it
21 is showing you is -- and I wish it wouldn't cut
22 off -- is just ways to look -- visualize the data.
23 So what it is showing is -- or if I even back all
24 the way out, because I had 260 selected -- but
25 here's where the specific source, it's giving you

1 bar charts of, in this case, it's actually distance
2 versus $PM_{2.5}$ concentration, but I selected the first
3 one, so it's by NO_x and SO_2 . So it's giving you,
4 you know, pretty much the concentration from each
5 pollutant by distance. And again, if you could see
6 the legend it would show you that, you know, I
7 believe the blue is NO_x and the yellow is SO_2 . Just
8 so you could see for yourself, and you could scroll
9 or go all the way out to 300 km. And again, you
10 would see, you know, pretty much the contribution
11 for each -- from each pollutant. Here's -- oh,
12 wait, sorry, I had that wrong. This is my
13 precursor. So this is by NO_x . The first one was
14 by scenario. So if this one is just 500- and
15 1,000-ton scenario, so this is showing you the
16 difference between, again, each ton per year, so
17 whether it goes up to 500, 1,000 or 3,000, it will
18 show you what the magnitude by difference is by
19 distance. And this one is between NO_x and SO_2 . So,
20 obviously -- I don't know which is which because
21 this is cut off, but, obviously, this is
22 predominantly leading to either sulfate or nitrate
23 is the predominant form here for $PM_{2.5}$, and again,
24 you carry that by distance.

25 And lastly, is just to view it by stack.

1 If you are curious how it changed versus similar
2 scenarios, how it differed between a high stack or
3 a low stack, again, you can compare here and look
4 out by distance as well to see how that varied in
5 case you're curious how the terrain affects -- or
6 things like that were impacting it.

7 And this similarly will show -- if I
8 exit out completely, it will zoom all the way out,
9 and it will, again, reset those charts. So this is
10 obviously -- this is going to give you the maximum
11 concentration of all the hypothetical sources. So
12 that may not necessarily be really helpful, but if
13 you select a few of them, you can look at those
14 charts and establish source is contributing to
15 which to kind of again help you maybe determine
16 which source might be more representative or just
17 for your own information it could be useful.

18 So I think that is everything I wanted
19 to cover on this. Again, as you can see,
20 unfortunately, in this form it cuts some things
21 off, and I can't even scroll down for some reason,
22 but that's just little things that we are going to
23 work with George and Kurt and get -- and to work
24 out and hopefully publish. But this is how we view
25 it, hopefully others will enjoy a more interactive

1 and easier way to check data instead of requesting,
2 you know, a PDF form, or some tables to look up, or
3 an Excel spreadsheet. This might be, again, more
4 attractive and more useful, but I think that
5 concludes the demo.

6 MR. BRIDGERS: So since we don't
7 generally have these three gentlemen together, and
8 Mike is soon to make a transition here to RTP in a
9 different position, I'm going to open the floor if
10 there are any clarifying questions for the three
11 presentations we just saw, but sort of like ground
12 rules yesterday, if we can kind of keep them high
13 level, otherwise you can catch the guys off in the
14 hall. So nothing permit specific, but are there
15 any questions for Kirk or Leiron, or Mike? Just
16 make sure you identify yourself.

17 MS. KAUTZMAN: Rheanna Kautzman,
18 North Dakota Department of Environmental Quality.
19 This was for Kirk. I think there is an error in
20 your presentation. There is no large cable in the
21 area, and that area that you had as high ammonia is
22 a coal gasification plant that now makes
23 fertilizer.

24 MR. BAKER: Okay. Thanks.

25 MR. BRIDGERS: I guess should have said

1 are there other corrections to make.

2 MS. WALSH: Heather Walsh from Florida
3 DEP. Kirk, you mentioned that there was some
4 upcoming additional hypothetical sources going to
5 be modeled for MERPs purposes. Do you have any
6 expected timelines for those?

7 MR. BAKER: Yeah. That's a great
8 question I was actually thinking about. I should
9 have mentioned this. I'm kind of targeting the end
10 of this calendar year to have that information
11 available, so by the end of -- I was hoping late
12 December maybe early January we will have more
13 information available to people from that
14 additional group of sources, which obviously would
15 benefit you-all, because you are kind of in that no
16 man -- there is not really much information there
17 from that first round.

18 MR. BRIDGERS: As we have done for each
19 of our panels, I think we owe these three gentlemen
20 a round of applause.

21 (Applause.)

22 MR. BRIDGERS: This brings us to our
23 last presentation before we get to the full public
24 hearing portion for the public comments. As Kirk
25 alluded to, there is guidance forthcoming. When we

1 originally scheduled the 15 minutes for this
2 update, there certainly was a thought that the
3 Guidance for Ozone and PM_{2.5} Permit Modeling would
4 be out. I stood in front of this audience in
5 different flavors for several years now, and so we
6 are going to give an update, and you can take my
7 word for whatever you would like to take my word
8 that we have Guidance forthcoming, but wanted to
9 give everyone a status update of where things
10 stand. And the title was generic, but the
11 intention all along was this was going to be the
12 Ozone and PM_{2.5} Permit Modeling Guidance talk.

13 So just, since this is on the record, I
14 wanted to go through a real quick history lesson,
15 how we got to where we are. So this, as many know,
16 started many moons ago. Back in 2010, there was a
17 petition that was granted by the EPA with the
18 Sierra Club. And that ultimately set in motion a
19 lot of things, including the revisions to the
20 Guideline in 2017. But in specific with this
21 petition was the focus on the tools and techniques
22 that we need to demonstrate compliance with ozone,
23 which up to this time has been done helter-skelter
24 in the states, and with PM_{2.5}, specifically the
25 secondary formation of PM_{2.5}, and the time here

1 lines up with when, in that following year, the PM_{10}
2 surrogate policy ended. And so for over a decade
3 we had coasted with the surrogate policy and really
4 not had to demonstrate compliance with the 2.5,
5 especially the secondary formation part. And so
6 now we are confronted with needing the pieces to
7 come together so that we could demonstrate
8 compliance.

9 There was a revision of the $PM_{2.5}$ NAAQS
10 that plays into this, a little slightly more
11 stringent standard. And then we had this -- what
12 at the time seemed a little bit problematic, the
13 vacatur of the SMCs and then some changes with the
14 aspects of the SILs for $PM_{2.5}$, but that also, as I
15 try to do with the Boy Scouts, is challenges are
16 opportunities. And so when you are trying to tell
17 the boys, and now girls, you know, just look at the
18 situation and make the best of it. Losing the SMCs
19 seemed kind of like a big deal at first. But then
20 on the flip side of it, it also guaranteed that we
21 would always have background monitoring moving
22 forward, so it was an opportunity.

23 The same with the SILs. We've got 30 or
24 40 years of SIL, you know, usage in this agency,
25 but we had not put forth the effort to do the

1 technical background, the work that Chris Owen and
2 others in our group and in our office have done to
3 put forth a really strong underpinning to the SILs.
4 It was something that was needed, and obviously, we
5 are well aware there is litigation ongoing with
6 that. But those opportunities also set us up to
7 start building these tools into a better Guidance
8 document.

9 In 2014, we updated -- and this was
10 through a very iterative process. NACAA was
11 involved, other states outside of NACAA were
12 involved, the regional offices were involved to
13 form the Guidance on $PM_{2.5}$ Permit Modeling in 2014,
14 which a lot of us are still using because it's the
15 guidance document that's out there.

16 I mentioned that we revised the
17 Guideline in 2017. And Kirk and others have just
18 presented on some of the flavors of this is what
19 happened with Section 5, and how we updated it, and
20 there is now this two-tiered approach for
21 addressing the secondary formation of ozone in $PM_{2.5}$
22 in recommendation and not requirement. And there
23 was a reason behind doing that, because we just
24 weren't in a place to put specific pencil-point
25 requirements on this yet. But along the way we

1 also, with these Guideline updates, had other
2 pieces that came in, and these, I think, are
3 fundamental, and have allowed us -- I won't say
4 stopgap -- probably the wrong way to categorize it
5 -- but they have allowed us to move forward in the
6 absence of the updated permit guidance, these
7 pieces like the MERPs guidance that was finalized
8 just recently. And then more importantly, you
9 know, this aspect of the single-source guidance and
10 information for secondary formation, because, as
11 Kirk had explained, part of our revisions of the
12 Guideline was bringing focus that these tools that
13 we used for years, and years, and years for SIP
14 development are also applicable for single sources.
15 So we are getting all these pieces together.

16 We talked about the SILs. There's a lot
17 of work going on. The SILs guidance was finalized
18 last year, and that's, again, given us a tremendous
19 tool to build upon. Hopefully it sticks around.
20 And then, you know, we talked about Kirk's
21 presentation just a minute ago. The MERP guidance
22 was finalized just a short period ago.

23 So what is the status of the Guidance?
24 If you are playing bingo with what were this
25 conference -- you know how sometimes you play bingo

1 with things that are on television? I talked about
2 beer, I've talked about Boy Scouts, I've talked
3 about Monty Python -- what else? I've thrown one
4 other thing out. Oh, Pokémon. So now I'm going to
5 throw out unicorn. So bingo. By the way, unicorns
6 are my mascot of my high school.

7 It exists. This is the only one. It
8 exists. It's here. But in all seriousness, there
9 have been starts, and stops, and fits with the
10 Guidance document. As I said, I have given this
11 kind of presentation several times now. There is a
12 presentation I gave in 2018 in Boston that I'm not
13 going to spend any time focused on right now that a
14 lot of people took as direction for where the
15 Guidance was going. Probably a good idea at the
16 time. But there was also some storming -- since I
17 was using the forming, and the storming, and
18 norming earlier -- once I got back to RTP and the
19 word spread around from that presentation. And so
20 there was discussions at the senior management
21 level, between policy division, between the
22 technical division that I'm in, trying to make
23 things align, appropriately so. And we realized
24 that it was going to have to be advanced up the
25 ladder to OAR, and before -- it was nice enough

1 that Anne was to come in to speak, but previous to
2 her was Bill Wehrum. And so there was a lot of
3 discussions with Bill. Assistant Administrator
4 Wehrum, I should say, versus Bill. I didn't know
5 him personally. And we came to a resolution, and
6 that resolution was finalized earlier in the
7 summer, and so I have been, along with the policy
8 staff and the Office of General Counsel, trying to
9 take those final decisions and bring it to one
10 final guidance document.

11 So where we stand -- there is a
12 unicorn -- actually, it exists electronically too,
13 obviously, and we are very close -- very, very
14 close to having it ready to hit the street. The
15 SILs litigation and the work that we have been
16 doing with our Office of General Counsel there has
17 slowed some things just because of kind of
18 sequencing things. And Tyler made me pull it out,
19 but I'm gonna say it, the shutdown did affect us.
20 It kind of slowed some of the discussions down and
21 kind of backed things up a little bit, so -- not
22 making excuses, but that shutdown did have an
23 impact even on this Guidance.

24 I hope -- sincerely hope that, in the
25 next few weeks, we are going to have it ready for

1 prime time. And when I mean the next few weeks,
2 prior to Halloween. And the first step will be to
3 share it with regional offices and gain their
4 feedback on a very short, couple-week turnaround.
5 And then, as we head toward Thanksgiving, unless
6 Tyler pushes even harder, to have it ready to
7 release to the public.

8 It's going to go out just like the 2014
9 Guidance went out for PM -- Permit Modeling
10 Guidance, it's going to go out as an informal
11 document for comment. So there will be no docket.
12 I will be the one receiving the comments. We are
13 not doing a summary of comments document, but we
14 will receive your feedback, and then we'll look at
15 that over the holiday season as we get into early
16 2020 and hopefully ahead of -- well ahead of the
17 workshop -- the annual workshop that we do that --
18 we'll have air quotes around the words final --
19 final version of the documents out there.

20 And so I am going to first say, one,
21 thank you for your patience; but two, I also want
22 to offer my appreciation for all the comments that
23 we are going to receive once it hits the street,
24 because it's through your feedback that we are
25 going to make a better and more usable Guidance

1 document.

2 So how to proceed in the interim. First
3 and foremost -- and this is kind of my pat saying
4 is, if you have questions, then reach out to the
5 appropriate reviewing authority if you are an
6 applicant. If you are a state and you have
7 questions, reach out to your appropriate regional
8 office. Since I am kind of the chief document
9 person for this Guidance document, you can always
10 contact me if you have questions, but if it's
11 specifically permit related, I am going kind of to
12 push you back to talk to your reviewing authority
13 and the regional office first. That's sort of the
14 normal flow of information. I would gladly be part
15 of the conversation, but I just have to make sure
16 the right people are on the phone.

17 What I can say, we are not, at this
18 point, recommending the holistic approach that we
19 put forth in that presentation that I gave in
20 Boston in 2018. So this engagement with the
21 reviewing authority is what we are really
22 stressing. You can read whatever you want to
23 between the lines, but if you are dealing with the
24 secondary formation of $PM_{2.5}$, you have significant
25 levels of SO_2 , or NO_x , or VOC, whichever pollutant

1 you are thinking about, ozone or $PM_{2.5}$, just reach
2 out and have the conversation. We can kind of fill
3 in between the lines, and it could be, by the time
4 that we have these conversations, the draft
5 Guidance will be out on the street.

6 Finally -- and this was sort of directed
7 at some things that we saw happening in the, sort
8 of, purgatory that we have been existing without
9 the Guidance document out there, is that if you are
10 using some type of scaling technique for the direct
11 $PM_{2.5}$, the primary $PM_{2.5}$, stop. Section 4.2.3.5 of
12 Appendix W clearly says, if you are trying to
13 assess direct $PM_{2.5}$, that you use the Appendix A
14 model for near-field modeling, which is --
15 near-field modeling, which is AERMOD. So we have
16 seen some creative things out there to try to
17 address this, but if you're not using AERSCREEN
18 from a SCREEN perspective, or AERMOD from a refined
19 modeling perspective, and you are looking at direct
20 $PM_{2.5}$ or primary 2.5, you are doing it wrong, from a
21 PSD major facility perspective. If there are other
22 questions on that, feel free to ask through your
23 permit -- through your reviewing authority and
24 regional office to us, and we could certainly have
25 those conversations offline.

1 So I know this was sort of a short and
2 sweet presentation. I think that's the end of it.
3 I am going to hide this now, because you know it
4 exists, and I don't need anybody picking it up, but
5 it will be in your hands, I really really hope,
6 before we get to the middle of November. And so
7 with that, I am done, and we will take just a short
8 minute of recess, and then we will start the public
9 comments portion of the Conference.

10 (At this time, a recess was taken from
11 2:01 p.m. to 2:03 p.m.)

12 MR. BRIDGERS: So we have a series of
13 eight talks that are starting now, and these are
14 external community stakeholders that have requested
15 time, and we have allotted approximately 10 minutes
16 per talk. Mike, you need to go -- please, we are
17 going to start with Michael Hammer, and he is going
18 to start on behalf of the Air and Waste Management
19 Association, the -- what used to be the AB3
20 Committee, but now it's the APM Committee. So
21 Mike -- Michael, you have the floor.

22 MR. HAMMER: Thank you, George, and
23 thank you to the EPA for allowing us to present our
24 committee's comments on everything we have heard
25 here at the 12th Modeling Conference. My name is

1 Michael Hammer. I'm a certified consulting
2 meteorologist from Lakes Environmental Software,
3 and I am the current chair of the International Air
4 and Waste Management Association's Technical
5 Coordinating Committee on Atmospheric Modeling and
6 Meteorology, APM, because we are part of AWMA's
7 atmospheric processes division.

8 A little bit of background, for those of
9 you who are not familiar with AWMA, the
10 International AWMA's charge is to provide a neutral
11 forum for stakeholders, for academia, for the
12 regulatory community to come together and exchange
13 information, exchange data, and discuss important
14 matters of air quality and waste management.
15 Specifically, our committee is the technical
16 coordinating committee for issues related to air
17 quality modeling and meteorology, of course. There
18 are about 150 committee members at this time. Many
19 of you here are members of our committee, and we
20 are thankful for your participation.

21 The committee's objectives include a
22 number of different things, but we mainly provide
23 technical support to the greater association for
24 matters related to modeling and meteorology with
25 our support of specialty conferences and workshops.

1 Just this past March, in fact, we held a specialty
2 conference on air quality modeling just up the road
3 in RTP here. We also contribute to other technical
4 programs holding webinars on items important to our
5 committee for the broader community to review and
6 discuss, and then we provide instructive technical
7 comments and review of regulatory issues related to
8 modeling to the agency, such as our participation
9 here today.

10 These comments were primarily put
11 together by our ad hoc review subcommittee. I, of
12 course, am the chair, as I mentioned. Sergio
13 Guerra is our vice chair of the committee, and
14 Abhishek Bhat is our secretary, and Tony Schroeder
15 of Trinity Consultants is the ad hoc review
16 committee chair, along with the other people
17 mentioned here. Some of the names you may
18 recognize as members of the panels we've had here,
19 so we are very involved in this modeling community
20 together. And then the greater member base was
21 also solicited for these comments.

22 So on the issues pertaining to this 12th
23 Conference on Air Quality Modeling, first
24 addressing just the general outreach of the EPA.
25 Our committee greatly appreciates all of the

1 outreach efforts taken by the EPA within the past
2 several years to address the ongoing development of
3 the AERMOD model and other issues related to air
4 quality modeling and meteorology, such as the
5 publishing of the system update -- excuse me,
6 system development and update plan, the continued
7 development of the AERMOD white papers, the LEAN
8 implementation for the Model Clearinghouse. All of
9 these outreach efforts have been greatly
10 appreciated, and we are thankful for the ability to
11 participate in the outreach efforts and provide our
12 comments on all these different areas.

13 One suggestion that came up from the
14 committee was potentially the resumption of
15 periodic conference calls with trade organizations
16 and the modeling community to discuss the ongoing
17 research and model development to provide a more
18 direct forum for our feedback on these items.
19 Additionally, emails for announcements that are
20 made on SCRAM to members of these communities could
21 also be helpful for effectively and efficiently
22 disseminating these information pieces to everyone
23 in the modeling community. I know numerous times
24 there have been announcements made on SCRAM that
25 have, kind of, flown over people's heads because we

1 get so buried on our own tasks.

2 For the downwash algorithms. As you're
3 all aware by the nature of the keyword description
4 AWMA downwash new, we have been actively
5 participating in the formulation of new downwash
6 algorithms through our PRIME2 subcommittee headed
7 up by Ron Peterson and Sergio Guerra. We have been
8 very thankful for this opportunity, and we look
9 forward to continuing to collaborate with EPA on
10 the testing and validation of the PRIME2 options
11 that have been incorporated into the model.

12 As Sergio mentioned in his presentation
13 yesterday, there are, of course, ongoing
14 improvements being developed and evaluated, and you
15 will be able to see those in the presentation as it
16 is posted, and we look forward to continuing our
17 participation and our collaboration with EPA on
18 incorporating those new developments.

19 With respect to mobile source modeling,
20 the panel was appreciated for all the information
21 that we got from our panelists on the topic of the
22 RLINE integration into AERMOD. Of course, from the
23 history, most of us are well aware that the 2017
24 Appendix W revisions made AERMOD the preferred
25 model for refined modeling of mobile source

1 applications, replacing the previous CALINE3, and a
2 three-year transition period was allowed before
3 AERMOD became mandatory for these applications.
4 Looking at the calendar, we are now about three
5 months away from that transition period ending.

6 Because RLINE is still a BETA option, as
7 of the AERMOD 19191 release, and work is ongoing to
8 improve its performance, we would suggest
9 considering an extension to that transition period
10 on the exclusive use of AERMOD for the
11 transportation conformity, until such time that
12 perhaps RLINE can become a regulatory default
13 option in the model. One of our members pointed
14 out that a recent FHWA-funded study demonstrated
15 better performance from CALINE for a straight-line
16 highway situation when compared to AERMOD. So we
17 think it merits continued analysis and review of
18 the RLINE source implementation into AERMOD before
19 maybe that transition period is fully closed.

20 On the topic of performance model
21 evaluations, the AERMOD development plan provides
22 guidance in Section 7.3 regarding the expectation
23 for the internal and external model performance
24 evaluations. Historically, guidance on this topic
25 has been sparse. So we are thankful for the

1 additional information that has been provided,
2 though there are still areas where we would like to
3 see additional guidance and information supplied.
4 One specific instance mentioned the distribution of
5 receptors at monitoring locations. Mark's
6 presentation this morning I thought was very
7 helpful in getting that idea across that, when we
8 have these individual monitored locations to be
9 reviewed, placing one receptor or multiple
10 receptors around there, we would like to see some
11 additional guidance on how that could be
12 effectively managed.

13 And Chris had a presentation today on
14 plume rise in which he touched on the BUOYLINE
15 source within AERMOD. We suggest that some
16 additional review be given to the source type. And
17 it sounds like, from Chris' presentation, that
18 there is going to be ongoing review of it.
19 Particularly, we noted that if you look in
20 MCHISRS -- somebody is using it, George -- there
21 have been five Model Clearinghouse decisions that
22 have been published since the Appendix W
23 promulgation back in 2017. Every single one of
24 these was related to the BUOYLINE source
25 applications, four of them approving the use of

1 hybrid BLP AERMOD model usage, and then one on an
2 alternative technique for using the BUOYLINE source
3 within AERMOD. We think that these collective
4 decisions kind of show that, while BLP, itself, was
5 a preferred model, and it was just kind of
6 whole-hog stuck into the AERMOD model, it still
7 merits further review to overcome some of the many
8 limitations that are presented in its current form,
9 such that it can be used as a full regulatory
10 default option without needing to go through some
11 of the additional Model Clearinghouse process.

12 And then looking ahead, the AERMOD
13 development plan is, of course, very beneficial for
14 everyone to understand what EPA's current efforts
15 are on model improvement. It is great to have that
16 written down. It's something that we could
17 reference and look to for guidance on what is
18 coming up. However, we feel a more long-range
19 outline for future regulatory modeling would be
20 welcomed and may be warranted, considering that
21 development of AERMOD and planning for it began in
22 the early 1990s. We would like to see, perhaps, a
23 development of more long-range plans for potential
24 replacement of AERMOD or its continued development
25 into more long-range applications.

1 Some of the questions that arose was if
2 ORD is working on implementation of any
3 next-generation models that could be considered,
4 any sort of internal plans that are currently going
5 through EPA regarding forward thinking into the air
6 quality modeling, it will be helpful for the public
7 to understand this information and know what is
8 going on, such that we could also continue to
9 support these efforts through our own research and
10 development. And, of course, we do look forward to
11 continuing to participate alongside EPA in
12 promoting all the state-of-science advances to air
13 quality modeling.

14 And finally, just on behalf of all our
15 committee members, we would like to express our
16 gratitude to EPA for being able to present at this
17 conference today. Thank you.

18 MR. BRIDGERS: Thank you, Michael, and
19 thank you to the Air & Waste Management Association
20 for their comments.

21 So, at this time, I will call to the
22 podium Chris Rabideau.

23 MR. RABIDEAU: Just like George has to
24 make sure he puts certain things in the record, I
25 put my disclaimer in. My name is Chris Rabideau.

1 I am from Chevron, but I am presenting today as the
2 chair of the API Air Modeling Group. So keeping
3 everybody happy.

4 API does support the -- you know,
5 supports the improving of the science that EPA has
6 been working on, and we have been doing that
7 ourselves along with EPA, so we do appreciate the
8 willingness to work with the public to improve the
9 science. Again, just some of the things we have
10 done through API, through their modeling group over
11 the last, you know, 8 to 10 years or so, it's just
12 been something that we have been working on has
13 been, obviously, improving the NO₂/NO chemistry;
14 you know, the development of ARM2; some of the
15 PVMRM improvements; and, you know, we actually did
16 do some CALPUFF chemistry improvements many years
17 ago, and then somebody decided to pull that from
18 the approved list, so that was kind of --

19 We have also worked on low wind speed.
20 Again, a lot of these things have come up in
21 previous presentations over the last day and a
22 half, and also currently working on building
23 downwash as well.

24 So just for today, I am going to cover
25 some of the issues that we are currently working

1 on, as well as a couple of other things, and then
2 -- obviously, there is a lot of our issues that are
3 being addressed that we'll cover in our written
4 comments, just so that EPA knows, you know, you
5 will be getting a nice big packet of stuff from us
6 as well.

7 So like I said, we have been doing a lot
8 of work with NO₂ and trying to improve the
9 conversions a number of different ways, and just
10 some of the things that we still -- what's still
11 out there, we have noticed -- we did do some PVMRM
12 improvements or suggestions that did get put into
13 the last round, but there are still some things in
14 there in the 1999 Hanrahan paper that does mention
15 the issue of a finite time that's needs for NO/NO₂.
16 That's still not accounted for. So -- and I don't
17 know the potential for at least the factual
18 prediction. So the question we are going to ask,
19 and we are asking in our comments, is that
20 potentially something that could be put in as a
21 BETA option in the next release, maybe putting the
22 time -- finite time conversion in there?

23 As Chris Owen mentioned this morning, we
24 are working with Cambridge Environmental Research
25 Consultants to work on another Tier 3 option, the

1 ADMS method. And again, since Chris actually did a
2 pretty good job for us, putting everything out
3 there this morning, I'm just going to go to the
4 next.

5 And this was some of the results --
6 Chris showed some of the results from the paper
7 that was done and was published in 2017. This is
8 some results that CERC actually presented at the
9 Air and Waste Specialty Conference in March of this
10 year using the compressor station data set that
11 Jeff Panek was describing earlier this morning.

12 So again, what I wanted to show here is
13 that just to pull some of the -- some of the graphs
14 that came out of the conclusions from that
15 presentation from CERC, but you -- and Chris Owen
16 mentioned this. You can see that, if you look at
17 the north fence, for example, you know, the model
18 was underpredicted. But then when you look at the
19 NO_2 , you look at PVMRM or OLM, it's performing
20 great, but I think it's performing great for the
21 wrong reason, because the NO_x , itself, was
22 willfully unpredicted. So you kind of look at the
23 results where, you know, if the NO_x is good, then
24 we are looking, okay, what -- how were the tools
25 for the chemistry working? And you can see, when

1 you look at the east fencing, and the field, and
2 the tower site not as much, because it is
3 underpredicted there too, most cases PVMRM and ADMS
4 are -- obviously, they are performing better than
5 OLM, and that's not surprising, I don't think, just
6 because of what
7 is -- the inputs into those -- into those
8 processors.

9 PVMRM and ADMS are broadly replicating
10 the near-field ratios. PVMRM does predict some
11 higher NO₂ concentrations exceeding that upper
12 bound OLM. You could see that on a couple of the
13 -- at least on the north fence. And when you look
14 at the full -- full statistics, at least for this
15 data set, the ADMSM statistics are a little more
16 consistent with the NO_x than the PVMRM.

17 The next thing we want to do on this is
18 actually then take the drill rig data set that's
19 going to be coming out in the next few weeks, month
20 or so, and also do this same analysis with that
21 data to see how ADMS also works with that, because
22 we want to -- we want to make sure we use both of
23 the -- both of the data sets to make sure we are
24 getting an approved -- improved Tier 3 model on
25 that one. So more to come on this one.

1 I think we've mentioned before, we have
2 also been working on the LOWWIND field for some
3 years. The ADJ U* was part of -- one of the
4 co-funders that was working that a few years ago.
5 Again, there are still some issues, and I think all
6 of this got discussed fairly well yesterday during
7 the panels. So I think we are just going to -- you
8 know, we are going to comment again that there
9 is -- there is some issues with meandering. There
10 is the coherent versus the pancake plume, there's
11 updates that are going to be needed for that. And
12 I think -- I think Bob Paine suggested this during
13 the wind panel on maybe there is some consideration
14 for some -- for minimum values of SIGMA-V and from
15 SIGMA-W that could be used. Again, we will have
16 some more information in our written comments on
17 that as well, based on what we heard at the panel
18 discussion.

19 We are working the building downwash,
20 working the PRIME2. So, again -- again, a lot of
21 this has been covered already, things that we are
22 working on, things that have been noted from the
23 panel discussion. So again, just something more
24 that is being worked, and we will -- we are gonna
25 keep funding. I think we got some potential issues

1 for some additional work on this. So more to come
2 again, as I think everything has been -- again,
3 this is just some of the results that we have seen.
4 This is some graphics from Ron Peterson that he
5 provided to just show some of the results that is
6 going on with PRIME2 work.

7 Offshore modeling. This was, again,
8 discussed yesterday, and this is one area that we
9 haven't been doing a lot of work on. And you'll
10 notice the last question on here is, "Is there a
11 role for API?" Obviously, a lot of the offshore
12 remodeling refinement work is just due to oil and
13 gas off-shore. And there are a lot of challenges.
14 I mean, these were all identified yesterday with
15 the shoreline geometry, the inclusion of thermal
16 internal boundary layer, complex terrain near the
17 shoreline, and then the inventory of the evaluation
18 database is obviously limited.

19 So there is a need to get this added to
20 AERMOD, and I guess I'm asking the question, is
21 there a role for API, and if there is, are there
22 certain areas that need research and funding? And
23 if there is, people can contact either me or
24 Cathy Kalisz. She was the API modeling group
25 staffer, and let us know, because we are -- we do

1 -- we do a research on trying to improve the
2 designs, and if there is things out there that need
3 to be worked on that aren't being worked on -- we
4 don't want to get involved in something that maybe
5 already is being worked. But if there is something
6 that's sitting out there that needs work, let us
7 know, and we will look into potentially doing some
8 additional research on those things.

9 Something I just discussed with the
10 modeling of the secondary PM_{2.5} and ozone. Again,
11 we would appreciate the additional clarification.
12 That did come out in April 2019 MERP guidance, and
13 I guess we put this comment in here before about
14 the helpful if EPA posted the distance the PM_{2.5}
15 CAMx results, but I think that might have been what
16 the app tool was that was just presented. So I
17 think that one was addressed, so that's great.

18 And again, I think George, as you said,
19 that you made comments about the guidance being out
20 there before. I think you made the same comment
21 before, that we were looking forward to commenting
22 on that, so we will say the same thing again too.

23 And then other issues that are in the --
24 for comment that we are not gonna get into here,
25 but we are definitely gonna be addressing in our

1 written comments, but there is the discussion about
2 the model evaluation procedures, the surface
3 roughness concerns, modeling of sources with
4 partial or variable emissions, RLINE and roadway,
5 and then additional feedback from the panel
6 discussions. And then, dare to ask, but is it time
7 for EPA to consider an eventual replacement of
8 AERMOD, just because of all the changes, and
9 additions, and dropping of things into and out of,
10 and it's been around 20 or some years, and I think
11 that is the length of ISC, and it's like, you know,
12 is it time for the next one? So we just kind of
13 put that out there, and I think that was it. Yes.

14 MR. BRIDGERS: Thank you, Chris, and
15 thank you, API, for your comments. I wish I could
16 be announcing AERMOD X. So up next we are going to
17 have two different presentations, both focused on
18 penetrated plumes. We are going to start off with
19 Bob Paine with AECOM.

20 MR. PAINE: Thank you, George. This is
21 a photo of a suspended -- you can see it's a
22 suspended plume matter which isn't coming down to
23 the ground, and that's part of the whole purpose of
24 this talk.

25 And, Chris, I want to mention that the

1 penetrated plume issue has been submitted as a
2 potential or white paper issue for improvement in
3 AERMOD.

4 So I am going to review what is this
5 thing called penetrated plume, and what's the
6 history of its treatment over the years, decades;
7 the current issue in AERMOD; what we have seen in
8 field studies; and a suggested approach for
9 addressing this issue.

10 This is -- this has been in various
11 training presentations for AERMOD, but in
12 convective conditions, you can see that the mixing
13 height is up here, is denoted here, and plume
14 material that is fairly low with -- well within the
15 mixed layer. Here you can see a very low source
16 that's totally within, and that's the green plume.
17 That's the direct material. It doesn't even
18 interact with the mixing lid. And then indirect
19 material bumps up against -- it's almost like a
20 balloon hitting that ceiling. And if you can crash
21 through that glass ceiling, you are in the
22 penetrated plume material. And that's what we are
23 going to discuss, the crashing through the glass
24 ceiling.

25 Now, another figure from the AERMOD

1 formulation document indicates that the SIGMA-W or
2 the -- you know, the SIGMA-W profile in the x-axis
3 is the SIGMA-W normalized by something that --
4 Chris Owen and I are saying you can't measure W_* ,
5 but W_* is a parameter. And so this is just -- the
6 x-axis is basically a scaling of the vertical
7 turbulence, and this axis is another dimensionless
8 quantity, the height divided by the convective
9 mixing layer.

10 So within the convective mixing layer
11 you rapidly ramp up in the first tenth of the mixed
12 layer to a fairly constant and high value of the
13 vertical turbulence, and then it drops off fairly
14 rapidly. The penetrated plume is generally up
15 here. Let's say it's maybe only a third or so,
16 that SIGMA-W versus most of the depth of this
17 mixing layer, and assume that the receptor is at
18 the ground. So this is the basic thing. How do
19 you get the plume from way up here to the ground?

20 But we have lots of experience with the
21 counterintuitive result that somehow that
22 penetrated plume material mixes to the ground
23 rapidly and can result in the highest concentration
24 during the daytime, and, in fact, that happens
25 really early in the morning when the convective

1 mixed layer is still well below that plume height,
2 the penetrated plume height, that is.

3 We would expect that this would -- this
4 penetrated plume material would mix to the ground
5 after the mixing height rises to intercept it. And
6 I recall, in the days of ISC-ST3, that the
7 penetrated plume never got to the ground. So we
8 would expect, just from intuition, that there would
9 be minimal mixing of a penetrated plume to the
10 ground before it was intercepted by the mixed
11 layer.

12 We have got some enhanced debugging
13 information that we developed. I worked with
14 Carlos Szembek on this for EPRI. It's basically --
15 it's actually downloadable, at least in some
16 previous version of AERMOD. But you basically get
17 the information for each hour for the mechanical
18 and convective mixing layer. In this case, we
19 haven't exactly -- you probably can't see these
20 numbers, but I will read them off. 256 meters for
21 the convective mixed layer. The plume height is
22 350-some-odd meters. So it's above the convective
23 mixed layer. And the penetrated plume fraction is
24 about 0.9. So most of the plume material is
25 penetrated. And you get a high concentration. So

1 the question is, why is that?

2 And now I looked at some EPRI field
3 study data where they actually had LIDAR
4 measurements of the actual plume material. What
5 you see here is these contours are plume material
6 in parts per billion, and they are basically SF6
7 plumes.

8 On this day in October of --
9 October 4, 1982, between 8 or 9 a.m., the plume --
10 a core concentration of, what, 1,000 ppb, but the
11 mixing height was well below that, and I think the
12 ground-level concentration of Chi/q was pretty low,
13 and between 10 and 20, as we are going to see,
14 until the mixed layer rose up.

15 In the next couple hours, the plume is
16 still about the same height. You can see the
17 height in 200-meter increments here. Still about
18 1,000 ppb. Didn't get down to the ground very
19 much. And later on in the morning, near noon,
20 still about 1,000 ppb at the core, and the
21 concentration of the ground was still on the order
22 of 10 to 20 Chi/q units. But then once the mixing
23 height intercepted the plume, what happened was the
24 plume center line concentration dropped by a factor
25 of 4, and the ground level concentration rose by

1 about a factor of 4. This was the -- the so-called
2 classic fumigation -- daytime fumigation. And not
3 until then did the penetrated plume get to the
4 ground in any consequential amount.

5 So -- and this is typical of what we
6 have been seeing, but the model somehow gets high
7 impacts from this penetrated plume too early in the
8 day according to our research in view of debugging
9 input. Too many hours too much of the time, and
10 then leads to the controlling concentration. What
11 we have seen is that there is -- there is an issue
12 with the mixing.

13 I am going to go back to the slide here,
14 slide 4. If you -- but the trouble is with the
15 AERMOD formulation. And I don't know what AERMIC
16 was thinking at the time, but we basically said,
17 okay, let's have an effective SIGMA-W that goes
18 from the plume center line to the receptor height.
19 But we didn't realize, well, you know, we're
20 actually vertically averaging over a large
21 discontinuity, and now we realize we shouldn't have
22 been doing that, but that's what their model does.
23 It basically says, well, the effective SIGMA-W,
24 instead of being much lower than this level, it
25 averages this, and you could get a little higher

1 level of SIGMA-W bringing that plume to the ground
2 inappropriately early.

3 Okay. I am going to go back to slide 10
4 now. So I think this is a formulation bug that
5 needs to be fixed, and I will take my portion of
6 the blame as a member of AERMIC. Weil, who is
7 another member of AERMIC, who should have realized
8 this too, had a paper on this too, and basically,
9 the fix is to basically keep the effective height
10 of the SIGMA-W, and the SIGMA-V, and all the
11 effective parameters for the penetrated plume
12 limited to very locally until the mixing height
13 reaches the plume, as we saw in the actual LIDAR
14 data. To do this, AERMOD could be modified, and
15 the next speaker will indicate how he actually did
16 it. Look ahead to the next hour. Next hour is
17 mixing height. See if it actually rises above the
18 height of the current hour's penetrated plume. If
19 it does not, keep that very limited depth for the
20 effective parameters, but if it does rise to
21 capture the plume, then do the current procedure
22 for the fraction of the hour that the plume was, in
23 fact, within the convective mixed layer.

24 And now, that's my lead-in to the next
25 speaker.

1 MR. BRIDGERS: Thank you, Bob, and AECOM
2 for setting the stage. Next up, we have
3 Ken Anderson at Ameren.

4 MR. ANDERSON: The database that I used
5 to evaluate what Bob was talking about is a Labadie
6 Energy Center, which is an Ameren facility in
7 eastern Missouri about 33 miles or so outside --
8 west of St. Louis. A couple of years ago, Ameren
9 installed two monitor networks around there to
10 evaluate its SO₂ impacts, the current situation --
11 I will make some comments here in a minute. I
12 think there was four SO₂ monitoring sites, there's
13 two 10-meter towers, one in the valley, one out of
14 the valley, and it's typically intermittent wind
15 speed, wind directions, vertical wind speed,
16 SIGMA-THETA, and SIGMA-W. And we'd also have a
17 SODAR system there in the valley.

18 The next slide shows the actual location
19 of the monitors. Two of the monitors were
20 installed in April of 2015, and that's the
21 northwest site and the valley site. In early 2017,
22 or actually January '17, part of the DRR rule, two
23 more monitors were put in, and that's the southwest
24 monitor and the north monitor. So you've got
25 pretty good coverage for all of this. The only

1 problem we have had is in '15 Missouri River really
2 flooded, and we had our SODAR located at our valley
3 site, so we lost it for a while. We moved it to
4 the current site, which is now elevated out of the
5 floodplain, so we are, so far, happy, but we lost
6 data just because of that. And it also flooded
7 again back in June of '16. And, of course, this
8 last year, we were underwater from May through
9 August, effectively, for the valley site. So it
10 was out of commission.

11 Anyway, I didn't really start out this
12 work to look at penetrated plume. What I was
13 trying to do was run AERMOD and find out what
14 combination of meteorology would best simulate the
15 monitoring concentrations that we had. And I
16 listed five of them over here. There is probably
17 10 more that I actually did. What we came up with
18 was that the best actual performing meteorology for
19 AERMOD, its default mode was the value 10-meter
20 data with turbulence and the wind speed direction
21 from the actual SODAR.

22 But we went through and evaluated, as
23 Bob mentioned, the debug, we call distance debug.
24 This is a listing of the top 10 concentrations out
25 of using one of our simulations, just a valley met

1 tower, itself, with turbulence. And all 10 -- all
2 10 concentrations are all dominated by the
3 penetrated plume. I apologize for the small
4 numbers, but if you look at the actual observed
5 values that occurred, there is no or little
6 penetrated plume impact on these. It's all under
7 higher mixing heights and earlier hours during the
8 day, and this next figure really shows that.

9 This is a plot of where the orange or
10 red triangles are the AERMOD calculations and the
11 blue dots are the observed values. On the
12 left-hand side we have hour of day, and you can see
13 AERMOD predicts these penetrated plumes earlier in
14 the day than are actually being observed from the
15 monitors, as well as under very -- under
16 lower-mixing heights than when the observed values
17 were listed.

18 So this got me into looking and talking
19 with Bob about what can we do to rectify this. We
20 had a lot of discussions about that. And Bob's
21 already mentioned what we have done to do that.
22 AERMOD's current work, which I guess Bob has
23 already described it, it actually takes the
24 effective values at the penetrated plume height,
25 calculates a SIGMA-Z value, and then recalculates

1 the effective values for that SIGMA-Z value 2.15
2 down to the SIGMA-Z value. So it has a tendency to
3 produce higher concentrations earlier in the day.

4 So, anyway, we came up with -- I
5 reprogrammed AERMOD to actually look at a couple of
6 different situations where the -- we have a
7 penetrated plume, the next hour's mixing height is
8 still below the center penetrated plume. AERMOD
9 would adjust the effective values at the penetrated
10 plume height and do its calculations and
11 concentrations in that way, but for the next hour
12 actually exceed the penetrated plume height. Then
13 we would do a weighted average of the effective
14 values at the penetrated plume height and the
15 AERMOD's typical calculation that I described
16 earlier, weighted on the time that the mixing
17 height actually reaches the penetrated plume center
18 line, assuming that the mixing height is linear
19 from hour to hour going up.

20 So I put together a bunch of statistics,
21 and this is just some of them. And I know some
22 other folks earlier today also talked about some of
23 these things. And all of the statistics, except
24 for the one thing at the end here that I'm going to
25 talk about, looks at just the max daily values.

1 So the first plot I'm going to show here
2 is a QQ plot where the blue dots in this case are
3 AERMOD's predictions and the orange triangles are
4 the prediction with what we call PENMOD,
5 modification of the penetrated plume. You could
6 see that AERMOD has a fairly -- fair amount of
7 overprediction. It's still within a factor of 2,
8 but the PENMOD does much much better than the
9 default AERMOD is doing.

10 Also took a look at the actual design
11 values you would get over this three-year period.
12 I should mention -- I mentioned this before, I
13 probably should go back -- I developed another
14 three-year period of the most complete data set I
15 could from what we had measured. So that happened
16 to be May through -- excuse me, May '16 through
17 April '19. So these are the design values, and the
18 blue are the observed values for each one of the
19 four sites that we have. The orange or red is
20 actually AERMOD -- default AERMOD implementation,
21 and the yellow is the PENMOD.

22 Now, you can see, in each case, for the
23 design values, the PENMOD is doing better than
24 AERMOD, and it's still somewhat conservative in
25 terms of implementations. Does better at different

1 markers and worse at others.

2 Also took a look at robust highest
3 concentration at each one of the monitors. Again,
4 this is robust high concentration for the max daily
5 values, not the other values. So you see only at
6 the value site is it slightly underpredict. The
7 other two sites, PENMOD does better than the AERMOD
8 with the same colors. If you look at the highest
9 values at each -- each of the four sites for each
10 PENMOD, and the observed, and the default value, it
11 actually does pretty well overall across the whole
12 network of samplers.

13 We also did what's called a fourth --
14 robust fourth highest value, which Mark Garrison
15 talked about this morning, where you throw out the
16 first top three values and start the fourth value
17 and look at the next 26 values. And by the way,
18 [indiscernible] use 26 for the numbers. You could
19 see, in this case, the robust highest
20 concentrations, the PENMOD's got a normal of all
21 the other sites, except for the northwest and
22 southwest sites, but still better than what AERMOD
23 was producing.

24 Also took a look at fractional bias.
25 And again, this is for the max daily

1 concentrations. And you can -- and also I did a
2 ratio of the average of the top 25 monitored and
3 measured -- measured values, or -- yeah. And so
4 you can see, with the fractional bias -- I don't
5 know how familiar you are with fractional bias, but
6 the more negative it is, the higher the prediction
7 is. And you can see that the PENMOD does much
8 better in the fractional bias area, and, of course,
9 it would do much better in the ratio model verses
10 OBS.

11 My last plot here for -- at least for
12 the Labadie Power Station, this is the -- the EPA's
13 MEM software, which does the Cox-Tikvart stuff.
14 Now, this does use hour-by-hour values as opposed
15 to max daily. And it got the MCM for each monitor
16 as well as the combined MCM. And it looks like the
17 -- well, the idea is you want the thing to not
18 cross zero for combined MCM, and it looks like it's
19 touching the axis, but it's just barely like 10 to
20 the minus 3 plus. So it's pretty -- it is
21 statistically significantly different -- our two
22 models are statistically different.

23 Anyway, the operational diag is 1. We
24 also used a combination of wind speed and stability
25 class as a diag thing. There are three categories

1 that we use.

2 In the interim, I also took a look at
3 this -- tried to find this technique for some other
4 EPA databases. Baldwin Energy Center, which has 10
5 monitors, relatively flat for a year's worth of
6 data; Gibson Energy Center has three years of data,
7 2018. We processed the meteorological data for
8 both of these through AERMET, used the ASOS data
9 that was available for the Gibson Energy Center.
10 And so just had one little short figure here that
11 shows the difference between the default AERMOD and
12 PENMOD. You can see it makes a significant
13 difference in very close observations. This is the
14 fourth highest max, by the way -- daily max. Does
15 really good at Baldwin for the year. Not quite as
16 well at Gibson, but still a little better than
17 AERMOD.

18 And so I just have a few conclusions
19 here. It appears, and as Bob had mentioned, the
20 penetrated plume treatment dominates the higher
21 concentrations while, in our case, for this study,
22 the observed concentrations are generated under
23 different conditions than what the model is
24 frequently showing.

25 The PENMOD modification reduces the

1 overprediction somewhat and gives some credence to
2 what the next hour mixing height is going to be, so
3 you could determine whether it is going to be
4 entrained or not be entrained.

5 This database, at least at the Labadie
6 Energy Center, is evolving and continues to
7 operate. We are going to continue evaluating this
8 technique with that, as well as other databases.

9 So that's all I have got. I want to say
10 thanks for the presentation.

11 MR. BRIDGERS: So thank you, Ken, and
12 thank you to Ameren also for the comments that were
13 provided. We are running a few minutes ahead of
14 the schedule that you have in front of you, but
15 what I'm going to do now is allow us -- so we had a
16 mutinous break a little bit earlier, but we will
17 have the real break now. I will give you 20
18 minutes. So 3:05 is your target time to be back.
19 So I will suspend the public hearing until 3:05.

20 (At this time, a recess was taken from
21 2:45 p.m. to 3:05 p.m.)

22 MR. BRIDGERS: If we could have everyone
23 go ahead and take your seats, please, and start the
24 last session. Again, if we could have everyone
25 take their seats, please. As everyone's taking

1 their seats, I will call the public hearing back to
2 order. This time we have four more requested
3 public presentations, and then we will have our
4 open public hearing. So up next, representing the
5 American Iron and Steel Institute, Bob Paine is
6 going to present some comments.

7 MR. PAINE: Thank you. The American
8 Iron and Steel Institute will also have written
9 comments as of November 4th, but these are
10 preliminary comments for this particular
11 conference.

12 We would like to acknowledge the
13 achievements and advances with the 2017 Appendix W,
14 for example the -- some LOWWIND improvements, the
15 recognition of urban effects in the large
16 industrialized sources, and basically the issue is
17 source characterization. How to model emissions of
18 nearby sources with somewhat more realistic
19 emission rates and some advances in NO₂ modeling.

20 Now, areas where more work is needed we
21 would say -- that is, we being AISI -- would be
22 additional progress with LOWWIND improvements,
23 which we discussed a lot. More source
24 characterization improvements, like the plume rise
25 type of things. NO₂ modeling improvements that

1 have been discussed. And, of course, we are
2 waiting for that ever present, almost released
3 Guidance on secondary PM_{2.5} and ozone formation.
4 There is still issues with haul road modeling and
5 also modeling of sources with infrequent emissions
6 or highly variable emissions.

7 Just getting into what was accomplished,
8 we did get the ADJ U* option implemented. I was
9 supportive of that. There was a -- I would say a
10 last-minute bug fix that was sort of awkward in our
11 view, because it never underwent public review, but
12 it's good.

13 The issue of the fact that a source -- a
14 source's heat can influence its dispersion
15 environment was an important step forward with now
16 the more acceptable adoption of urban large
17 industrial area dispersion characterizations. And
18 there were advances in the Tier 2 and Tier 3 NO₂
19 modeling that were approved. More realisms, as I
20 said, in modeling emissions from nearby sources.

21 Now, areas where further progress is
22 needed. LOWWIND improvements we have been talking
23 about quite a bit, so I will very briefly indicate
24 that one thing we haven't discussed a lot, but that
25 was in the modeling workshop this year -- I wasn't

1 there because I wasn't allowed to be there -- was
2 the minimum Monin-Obukhov length. But I think we
3 discussed that in AERMIC and never got to implement
4 the fact that we wanted to do some sort of up,
5 over, and down type of characterization where you
6 characterize the planetary boundary layer at the
7 anemometer site, but you know that's not where the
8 source is, and then you go up to the planetary
9 boundary layer and over to where the source is and
10 go down to where the source is and you say, oh,
11 it's rougher now, so I'm going to modify the
12 planetary boundary layer. Well, that's never
13 gotten implemented. But a minimum Monin-Obukhov
14 length would be helpful. And I know Roger Brode
15 was working on in the -- 20 years ago, the vertical
16 potential temperature gradient parameterization,
17 and that still needs attention. Of course,
18 additional model evaluation work will be needed for
19 all of this.

20 One of the American Iron and Steel
21 Institute's favorite issues for source
22 characterization is what they call LIFTOFF. It's
23 basically a fugitive, and Chris Owen was discussing
24 this before. You've got hot sources, very
25 uncharacteristic sources that have a lot of heat

1 that weren't envisioned when, you know, these large
2 tall-stack power plants were doing their field
3 studies. These are unique sources, and they --
4 their heat influences the dispersion environment.
5 And in the paper that's footnoted in the bottom
6 here, which is a peer-reviewed paper in Atmospheric
7 Environment, we describe implementation of a
8 Hanna-Briggs-Chang approach that takes the buoyancy
9 flux due to this fugitive heat, in addition to the
10 wind speed, and adjusts the amount of downwash that
11 can occur. There was actually a four-month field
12 study where this was demonstrated to be an
13 improvement. So we will -- I will advise AISI to
14 work with EPA to advance this and other concepts
15 like it forward.

16 And Chris Owen had some good news on his
17 work on the Tier 2 approach on the fact that NO
18 does not instantaneously convert to NO₂, and he had
19 some nice graphs on this, and we hope the next
20 revision -- the next release of AERMOD will have
21 this in it, and it might even be a BETA option,
22 because it has an important effect of the impacts
23 at the fence line which can be very limiting. And
24 right now I believe there could be on the order of
25 a factor of 2 overprediction of the NO₂ formation.

1 We are awaiting the modeling guidance
2 for the secondarily formed ozone and $PM_{2.5}$. That's
3 been discussed. One issue -- and I was glad to see
4 that the website -- that has all of the distance
5 information, and what we hoped to do is -- and also
6 George mentioned that, at the 2018 modeling
7 workshop, there was a change of guidance,
8 seemingly, that if you had significant secondary
9 emissions but you had insignificant primary
10 emissions, you still had to model both of them.
11 But since they don't often impact at the same
12 place, it seemed to be very conservative. Maybe
13 that will be addressed if we have a way to
14 characterize -- there is a function of distance,
15 the impacts of direct and indirect that is directed
16 secondary PM formation using the tools we have
17 available, but I think we have to look into how
18 well can we do that and put forth a process for
19 doing that.

20 Mobile sources and haul road modeling.
21 RLINE is an advancement, but there are further
22 issues for review. I think we were hoping to get
23 some sort of evaluation for Las Vegas, but I don't
24 think it has been released yet. RLINE versus
25 AERMOD run with the current approach, with the

1 previous approach, with volume and area sources all
2 strung together.

3 What about traffic-caused turbulence?
4 When the wind goes to zero, but you have got cars
5 going 65 miles an hour, doesn't that -- what does
6 that do to the turbulence, and is that incorporated
7 into the model?

8 Roadway barriers, like NOAA did.
9 Apparently, that's been at least looked at, but --
10 vegetation screens have been looked at too. I
11 think we would like to -- AISI would like to have
12 EPA pay attention to that and try to accommodate,
13 especially for haul road emissions, a way to
14 characterize the effective, you know, reduction of
15 concentrations due to these barriers. And that
16 came back to the -- Chat Cowherd's presentation.
17 And at the 10th Conference he focused on the same
18 thing, and we are still hoping for someday having
19 this accommodated in our Guidance.

20 Okay. Modeling of sources with variable
21 emissions. Right now, the permit modeling
22 typically requires that sources that are nearby are
23 soon to be operating all the time, which is very
24 conservative. Sometimes sources operate very
25 infrequently, or they have unscheduled elevated

1 emissions, but AERMOD doesn't model very easily.
2 Random elevated emissions are very sporadic, you
3 know, operation sources.

4 Now, I would say EPA should really
5 consider accepting a modeling of actual hourly
6 emissions if this scenario was likely to be
7 conservative for future operations. So I'm
8 throwing that out as a suggestion. An alternative
9 approach would be to use -- and this has been --
10 this is alluded to in Appendix B in the April 23,
11 2014, SO₂ non-attainment guidance, that a randomly
12 reassigned emission approach could be used on
13 random sequences of hourly emissions. That's a
14 more extensive amount of modeling than the modeling
15 of actual hourly emissions, but these are two
16 approaches to be considered for sources that have
17 infrequent operation.

18 Now, let's go to that Appendix W, Table
19 8-1. What was changed in here -- and, you know,
20 the nearby sources at the bottom -- my bottom
21 bullet should include sources even at the same
22 facility that are not being affected by a proposed
23 permit change. But the -- if you just address the
24 minimum Btu per hour factor, which is this middle
25 factor, the trouble is that these are not generally

1 independent. When one is high, one could be low.
2 And so I would recommend that you combine these
3 three factors into a simple pound per hour emission
4 rate that you might vary by season and hour, like
5 regional background is variable by season and hour.
6 Why not do it with nearby source emission rates?
7 You just can't focus on one parameter, because they
8 are not truly independent.

9 And my last issue, I think this was
10 brought up by somebody yesterday about the issue
11 with the cavity -- and I'm gonna sort of dwell on
12 this for a couple of minutes. Let's say you have a
13 wind going from left to right and you have a stack
14 in the middle of this building. The cavity
15 concentration pattern is lined with the far wake
16 concentration pattern, but when you have a building
17 on the -- that has a stack on the south side of the
18 building -- it's hard to see -- but you have got --
19 the cavity concentration pattern is pulled toward
20 the center of the building where the far wake is
21 aligned with the stack. Similarly with the stack
22 on the north end of the building, the cavity is
23 brought into the building wake toward the center of
24 the building and the -- you know, the far wake is
25 aligned with the stack. And so when you add one at

1 the north and south ends, you get this highly
2 skeptical magnification of concentration followed
3 by a deficit, and then concentration. It's like a
4 fork. This is what the model is really doing now.
5 And I don't know if this is realistic. I think
6 Dave Heist was alluding to this. Hopefully ORD is
7 going to tackle this and maybe, I don't know, the
8 sidewash -- downwash whole thing. But it's
9 currently an issue where you have many stacks on a
10 long building, you can get this very strange
11 amplification factor that seems to me to violate
12 the second law of thermodynamics. And I think that
13 is my last slide. Yup. Good.

14 MR. BRIDGERS: Thank you again, Bob, and
15 thanks to the American Iron and Steel Institute for
16 their comments. Next up we have Chris DesAutels
17 with Exponent, and he's going to present on
18 CALPUFF. So, Chris.

19 MR. DESAUTELES: Thank you, George. My
20 name is Chris DesAutels. I work with Exponent, and
21 I want to take us on a little side trip to talk
22 about nonsteady state modeling. We have had --
23 CALPUFF, specifically, has had quite a number of
24 decades, three or four decades of development, and
25 historically has been used in a number of both

1 regulatory and nonregulatory environments. We have
2 a pretty long history of its use in a variety of
3 situations. And I would say it is still available
4 as an alternative model. We are still supporting
5 model and developing model, so Exponent continues
6 to maintain and support the CALPUFF model.

7 We are now distributing a new version of
8 model. We posted it recently this week. It
9 includes -- this is specifically on the Version 7.
10 As many of you are aware, there are two versions of
11 CALPUFF. One, the EPA-approved version of the
12 CALPUFF model. The second will be considered the
13 more developmental version of the model, which is
14 currently known as Version 7. This is a new
15 release of the Version 7 model. It includes a
16 couple of small bug fixes that relate to some very
17 specific situations. One related to sub-hourly
18 emissions and external variable files, another
19 related to the use of AERMET .SFC and .PFL files,
20 especially with on-site data and vertical
21 temperature profiles from .PFL files.

22 But the -- probably the most noticeable
23 addition in the new model release is the
24 introduction of a new AGDISP coupled agricultural
25 spray source in CALPUFF. This is work that was

1 done between the CALPUFF development team, AGDISP
2 team, and the U.S. Forest Service.

3 In addition, we also have posted updates
4 of post-processing utilities, specifically to
5 handle the new source type, mainly just for header
6 record reading. There's really no change in the
7 formulation there. There is an update to CALWRF to
8 correct a bug related to precipitation processing,
9 specifically the first hour in transition between
10 two separate WRF out-files, and we have also posted
11 some new documentation for the features that are in
12 the Version 7 model which include not only the
13 agricultural spraying option but the roadway and
14 flaring, and some of the other utilities like
15 CALMAX, CALRANK, and CALAVE that didn't previously
16 have as much documentation available. There is a
17 new Version 7 User Guide Addendum for user
18 instructions for those options. So that's all on
19 the website at src.com now.

20 And as I mentioned, the Version 5
21 version of the model, EPA-recommended version,
22 remains unchanged, so there is no update to that at
23 this point.

24 I think it's useful to kind of look at
25 the nonsteady state approach still. A lot of the

1 conversations we have been having over the past
2 couple of days involve some very challenging
3 situations, places where we are pushing limits of
4 some of our modeling formulations, low wind speed,
5 long-range transport, complex terrain, over-water
6 dispersion, sub-hourly emissions, sub-hourly
7 dispersion considerations. And these are places we
8 are looking at other model formulations,
9 potentially, including nonsteady state formulations
10 could provide some good structural means to answer
11 questions that are important to the modeling
12 community.

13 The balance of the presentation I have
14 is actually going to look at this new spray model,
15 because it is, I think, a useful example of some of
16 the capabilities and applications of the
17 specialized case. It may not fall strictly within
18 a lot of the regulatory applications, but I think
19 it is still illustrative, and I have got some
20 pretty pictures too, so.

21 As background, this was developed as a
22 linkage between AGDISP and CALPUFF. The near-field
23 turbulent mixing of -- this is representing
24 agricultural spray from an aircraft. So AGDISP
25 will calculate the near-field turbulence of the

1 spray droplets that are released from the aircraft
2 and calculate for wind vortexes and evaporation,
3 droplet breakup, and other properties. And then
4 the goal was to have further transport handled by
5 CALPUFF.

6 There was an agreement between all
7 parties that we wanted to do this as part of an
8 external handoff file with the goal of not
9 producing any Frankenstein model that would result
10 in maintenance issues going forward. We wanted to
11 have each model independently taking care of its
12 part of the business and hand off an agreed format
13 in the middle, so that when CALPUFF had additions
14 or AGDISP had additions, you wouldn't have to go
15 back and reassemble the combined link model.

16 The work involved team -- Milt Keske of
17 Continuum Dynamics. I'm with Exponent.
18 Harold Thistle of the Forest Service was
19 coordinating that effort.

20 And this kind of just illustrates, you
21 know, the serial nature that was being followed.
22 AGDISP calculates the near-field impacts related to
23 aircraft, droplet dispersion, droplet deposition
24 and evaporation. So the on-target deposition of
25 droplets onto the agricultural field. What's left

1 over gets written out to an external file of time
2 during records, including droplet sizes and
3 positions, which are then picked up by CALPUFF.

4 So to take an even further site, I have
5 a couple slides talking about AGDISP, just so you
6 understand how this all fits together, and we can
7 see kind of the CALPUFF formulation of it. The
8 important picture here is down on -- down on the
9 right corner. This is a picture of what AGDISP
10 produces at the kind of handoff point in the model
11 formulation.

12 In this picture, the aircraft is flying
13 into the -- into the picture here. AGDISP is
14 characteristically a two-dimensional model. It
15 tells you where the droplets are, the size, the
16 position of them, the distribution of them, just I
17 think distance away from the field, and height
18 above ground. It doesn't know about the ends of
19 the spray line, it isn't registered in
20 three-dimensional space in the world, it's a
21 two-dimensional model of particles and deposition
22 away from the end of the field. So this is a
23 two-dimensional plot of what AGDISP knows about.
24 It's a very complex distribution of material. You
25 can see the wings have more to feed, you could see

1 drag where there are lower elevation droplets that
2 are being transported less distant from the field.
3 The distance from the end of the field is about 100
4 to 200 meters downwind. So that's about the point
5 of which this handout is happening where the AGDISP
6 calculation is ending and CALPUFF is picking up.

7 Each point on this map represents a
8 distribution cloud of droplets of a specific size.
9 So that's how AGDISP tracks their droplets and
10 their calculations. And each one would be a
11 different separate position and also have a
12 specific SIGMA distribution around that point. So
13 all these various dots on the page overlap to
14 produce the entire kind of complex two-dimensional
15 cloud, cross-section of the spray line of a plane
16 coming, dropping down agricultural spray, getting
17 mixed in the wake of the aircraft and evaporating.

18 As part of the formulation of this,
19 AGDISP did add a panel to the output options within
20 AGDISP that allows you to specify beginning and end
21 position, so that could be supplied to CALPUFF
22 along with the length of the spray line, which
23 otherwise it does not know about, direction of the
24 spray line, base elevation, things you need in
25 order to register this in space for use with a

1 CALPUFF model.

2 Okay. So that's the AGDISP. On the
3 CALPUFF -- and to back up a little bit, as most of
4 you are familiar, the model is called CALPUFF.
5 Distributions of concentrations, whether
6 particulate, or droplet, or gaseous are represented
7 as puffs, classically. A gaseous distribution
8 about a center point, but there is also a secondary
9 formulation within the model called a slug. We
10 don't call it CALSLUG, but it's another way to
11 distribute the material within the environment.
12 It's been there throughout the history of the
13 model. So this is not a new formulation but
14 something that's been available to model all along.

15 A slug is an integrated distribution of
16 mass. It has a -- for a point source, you would
17 have a pollutant that is released, one end of the
18 slug stays attached at the source, and the second
19 end of it is released and grows with time as the
20 SIGMA grows. So you have a new end and an old end.
21 When it's released, it will be transported out to
22 the environment as an integrated slug. So you will
23 have two ends of different SIGMAs, but they will
24 both grow with time and be transported. And it
25 goes through all the standard properties of --

1 CALPUFF does, including transport deposition,
2 downwash, all those related properties.

3 The spray source makes use of this
4 formulation, but it does it in a unique way by
5 rather than releasing over time, it releases a slug
6 in one-time step. So it's released
7 instantaneously. Both ends are at the same length,
8 so it's kind of the square to the rectangle. It's
9 a specialized kind of slug. From then on, it could
10 be treated in the same way the model always has.
11 So there's really nothing new in dispersion science
12 here. It's kind of a bookkeeping process we have
13 been going through. And for me to name everything,
14 we have come to name these rods. These are
15 actually the same formulation that was used in
16 introducing the roadway model. So the rod
17 source-type formulation is this distribution that
18 is elongated and the same is instantaneously
19 released. And it can be transported based on its
20 center point in any direction as it moves downwind.

21 So to bring the two together, what we do
22 is we take our AGDISP distribution as put out from
23 AGDISP. It gets oriented in space properly, and
24 then for every particle position AGDISP represents,
25 we can put in a rod that represents the length that

1 the plane traveled. Remember that the AGDISP plane
2 is kind of a cross-section. And for every one of
3 these, we can put in a rod. There may be several
4 hundred to 1,000 different positions which results
5 in a fairly substantial number of rods, but it's an
6 instantaneous source. There is one set of these
7 put out and then transported further downwind. And
8 if you have spray lines that the plane will come
9 and pass several times over a field, you can
10 accumulate several lines of these. So you will
11 have these rods being disbursed downwind. Each rod
12 has a unique particle size and droplet size
13 associated with it, and it's associated with a rod
14 as opposed to with a species now, and it will be
15 deposited on a rate based on the droplet size.

16 So to put a little pretty animation with
17 this, this is a demonstration where there are 10
18 spray lines going down the fields. I believe there
19 are 10. So there is the first line that dropped
20 down and transported, the second line, third,
21 fourth. So you are moving back across the field,
22 the position level, the aircraft is going to the
23 left while things are being disbursed to the right
24 and accumulates 10 separate dispersions, and then
25 the whole mass can be tracked downwind. Whoops.

1 One step too far.

2 So it's a nonsteady state application.
3 It's a very specialized and, you know, unique
4 distribution of material, but it fits well within
5 the formulation of a Gaussian puff model and
6 capability coupled with an agricultural spray model
7 such as AGDISP.

8 We say we are continuing to work with
9 CALPUFF. Some things we are looking at -- we are
10 looking at other unique events of this type to
11 solve specific problems. This consideration -- we
12 did not do evaporation at this point. The handoff
13 was done after evaporation ended in AGDISP, but the
14 model was set up so that all the parameters
15 necessary to do evaporation are actually in the
16 model so that such a process could be initiated.
17 And potentially also track phase change from a
18 liquid droplet to a gaseous phase. It would be a
19 rather simple addition to do that.

20 We've also been integrating CALPUFF with
21 the PERFUM model, which is a fumigation model, so
22 it's another agricultural application. We have
23 been considering some other NO₂ possibilities of
24 OLM, potentially. Some of the other NO₂ formation
25 options we have been talking about today, and

1 potentially on the roadway sources, is to bring in
2 more refined roadway emissions into the roadway
3 source that's been developed in Version 7. So that
4 is the end of what I have.

5 MR. BRIDGERS: Thank you, Chris and
6 Exponent, for your comments. Next up, we have
7 Mary Kaplan, and she is presenting on behalf of --
8 she is presenting on behalf of AECOM, and a
9 discussion about problems with permitting and
10 primary and secondary PM_{2.5} emissions.

11 MS. KAPLAN: Thank you, George. You
12 know, I really enjoyed seeing the presentations
13 today about the examples for the Tier 1 analyses,
14 and I'm looking forward to receiving the Guidance
15 for the PM_{2.5} permitting, but, you know, there is --
16 the examples are very straightforward for, say, a
17 new facility with a set emission rate or a PTE
18 emission rate, but when you have an existing
19 facility, things get a little complicated. So I
20 have questions, sort of advanced comments for the
21 Guidance that's coming out, and it may not be
22 addressed in the draft Guidance, but I hope it will
23 come out in the final Guidance next year. But in
24 the interim, I think things are kind of a little
25 muddy. So I wanted to ask my questions, in a way.

1 So I will go quickly over the Guidance
2 issues for some of our typical PSD projects for an
3 existing facility, you know, what we have to deal
4 with. You know, concerns for Class 1 areas, we
5 have seen some good examples today. Some issues
6 with Tier 1 and Tier 2 complications, and a few
7 recommendations I have.

8 You know, we have the Appendix W
9 Guidance and the Guidance for the MERPs that was
10 released in April 2019 that was very helpful with
11 some good examples. But as Bob and others have
12 talked about, things get -- things change downwind
13 distance from -- you know, that are -- the maximum
14 is not in the same location for the primary $PM_{2.5}$ as
15 the secondary, often enough, especially if you are
16 modeling things like roadway emissions, or cooling
17 towers, things that are low-level sources versus
18 your high-level sources that are typically NO_x and
19 SO_2 combustion driven. And so that makes things a
20 little complicated. You know, I look forward to
21 using that distance-dependent tool that Mark showed
22 us the demo for earlier today.

23 But, you know, so here's one of my
24 favorite clients. We try to do projects for them
25 pretty often, and we keep running into these issues

1 in the last couple of years. You know, the
2 facility's had a PSD review for some of the
3 precursor pollutants for NO_x but not for PM_{2.5}. So
4 what do we do with that? Things are a little
5 different. We do have a Class 1 area that's just
6 beyond 50 km, so that's always a little
7 challenging. And there is a lot of complex
8 emissions changes. You know, they do some
9 retirements of some of their sources, they are
10 gonna build a new source, they are going to
11 debottleneck some other things. But in the last
12 few years they have also done some minor permitting
13 projects. You know, they want to take advantage of
14 market conditions. So they make some little
15 changes here and there as minor PSD -- or, you
16 know, minor permitting. And all of that ends up
17 sitting in the contemporaneous period when we go
18 back to do another PSD project. So -- and there's
19 different contemporaneous periods, depending on
20 when they last went through PSD for a particular
21 pollutant. That -- you know, I have questions
22 about that. So -- but the April 2019 guidance
23 doesn't address a lot of this. You know, it only
24 talks about a source having these emissions, and
25 that's it.

1 So for our project, we are doing the
2 past actual to future potential emissions due to
3 the higher throughput of these new combustion
4 sources or changes in the existing sources. They
5 have got some cooling towers that may see some
6 increased use. You know, they may bring in some
7 additional materials, and there is some paved-road
8 traffic for some increase in exports. But the
9 permitted emission rates for the existing sources
10 are not changing. So we are not gonna really see
11 an increase over their permit emission rate that
12 has already been probably modeled in the past.

13 And then they have some fugitive sources
14 that are near the fence line. These don't create
15 secondary PM_{2.5} emissions. You know -- and those
16 modeled hot spots are quite different from our
17 combustion sources.

18 So the April 2018 Guidance, you know,
19 they have no mention of contemporaneous sources or
20 what to do with contemporaneous emissions. And, of
21 course, we are still waiting for the permit
22 Guidance, and hopefully we will definitely see that
23 before the holidays.

24 So this lack of guidance leaves me with
25 a lot of questions. You know, do we model the

1 project-affected-only emissions, or the
2 project-affected plus contemporaneous sources for
3 calculating our MERPs? You know, it makes a big
4 difference. And if those contemporaneous emissions
5 are already accounted for in the background monitor
6 concentration when we get to NAAQS modeling, how do
7 we deal with that? Do we go back to only modeling
8 the project sources to figure out which receptors
9 we might be above the significant impact level at
10 for NAAQS modeling, or do we still have to
11 double-count with those contemporaneous emissions
12 and model everything to get the number of receptors
13 that are exceeding the SIL?

14 So modeling these different approaches
15 gets very different outcomes. Our SIL will just
16 get -- our SIA will just get larger and larger,
17 depending on how conservative we end up being. And
18 if you are in an area where there are some other
19 sources, you know, that makes for very complicated
20 cumulative NAAQS modeling.

21 You know, we have a particular project
22 where there is another source across the street.
23 They don't have SIMS. They are a chemical
24 facility, so it's more of a batch process. How do
25 you try to make actual emissions out of their

1 annual emissions to get something more reasonable
2 when you have receptors that are very close to
3 their sources? You know, it makes for a big
4 challenge. So all these questions play into how
5 successful of a modeling analysis that we can have.

6 For Class 1 areas, it's -- as I said, I
7 have a Class 1 area that is about 50 to 55 km away.
8 So looking at AERMOD at 50 km, and initially we
9 were calculating our MERP value at about 0.37
10 micrograms per meter cubed, which is already above
11 the SIL for a Class 1 area. So that had me
12 concerned, but then I found out about the
13 distance-dependent concentrations, and I look
14 forward to using the app tool that we were shown a
15 little while ago to try to make some refinements to
16 that. And then going beyond the 50 km, I -- we
17 already saw that the tool will help address that as
18 well, so I'm glad to see that.

19 In terms of the other AQRVs and
20 addressing some of that, Bret mentioned yesterday
21 that they still like CALPUFF for the AQRVs, so I
22 found that interesting. And, you know, it's which
23 approaches can we use CALPUFF versus the CAMx, and
24 what we do with that. So those are questions.

25 And for us, it's doing any kind of model

1 evaluation, in addition to some of my other
2 questions that I thought of, you know, how do you
3 do that for over water? If you have a source
4 that's on the coast and you're modeling, say, a
5 Class 1 area that's also on the water, doing a
6 model evaluation for something like that, I guess I
7 have questions about. So -- because there really
8 isn't a station to use to verify. So interesting
9 questions too.

10 Tier 1 versus Tier 2. Everyone has said
11 that hopefully you won't have to do a Tier 2 very
12 often, and generally a Tier 1 is a lot easier and
13 more straightforward. The Tier 2 is pretty time
14 consuming, and you are not guaranteed to get better
15 results. So that's -- hopefully all of us can go
16 down the Tier 1 road and not the Tier 2 road.

17 So but -- just my recommendations,
18 it's -- you know, hopefully the upcoming Guidance
19 will provide answers to some of our questions
20 regarding what emissions we have to model and
21 things we have to do. For these more complex
22 sources where things are staying existing emissions
23 and sources and, you know, making the data for peak
24 primary and secondary impacts available, well, I
25 was gonna suggest the GitHub option, but the tool

1 looks pretty cool, so looking forward to that.

2 And, you know, maybe updating the
3 modeling Guidance to include a Tier 2 example if
4 one exists. There are all those great Tier 1
5 examples, and there is the tools on the GitHub
6 server, but -- and hopefully the Guidance will be
7 complete soon. That's all I have got.

8 MR. BRIDGERS: Thank you, Mary, and
9 thank you, AECOM, for those comments. The last of
10 our requested public presentations, we have
11 Christopher Warren, also with AECOM, to give his
12 presentation on innovative techniques for AERMOD.

13 MR. WARREN: Thank you, and good
14 afternoon. I would like to take this opportunity
15 to highlight some innovative techniques for
16 dispersion modeling. In particular, I would like
17 to focus -- I can't touch that. In particular, I
18 would like to focus on the temporal scale of Bowen
19 ratios, urban characteristics of highly
20 industrialized areas using thermal satellite
21 imagery, and recommendations to further enhance
22 AERMOD's debugging capabilities.

23 In situations with tall stacks in simple
24 terrain, peak ambient concentrations are often
25 observed when rising convective mixing height

1 reaches a stable plume aloft and mixes it to the
2 ground. Therefore, a critical performance
3 criterion for any steady-state air dispersion model
4 is to be able to accurately estimate the rate of
5 the growth of the convective mixed layer during
6 daytime hours. In its under form, AERMET has a
7 refined temporal resolution of monthly for surface
8 moisture.

9 The final stage of AERMET incorporated
10 three surface parameters: roughness, albedo, and
11 Bowen ratio, which is the ratio between the
12 sensible and heat fluxes. Research-grade studies
13 utilizing on-site rapid response instruments
14 measuring sensible and latent heat fluxes indicate
15 this ratio fluctuates on a daily and even hourly
16 basis.

17 Here's an example of one research-grade
18 study. The blue bars represent daytime average
19 Bowen ratios. The orange circles are total daily
20 rainfall. And the red dashed horizontal line is
21 the monthly average Bowen ratio. Note the
22 day-to-day fluctuations of the blue bars or daily
23 average Bowen ratios. It is evident that the daily
24 fluctuations can change significantly between dry
25 and wet days. The same holds true in this

1 particular month where daily Bowen ratios drop by
2 more than twice the monthly average on wet days
3 versus dry days.

4 Recent findings using research-grade
5 databases indicate AERMET's skill in estimating the
6 magnitude of the convective mixed layer can improve
7 along with the timing of the inversion breakup by a
8 daily selection for moisture characterization.

9 The current version of AERMET's user's
10 manual actually has a section that describes a
11 procedure to develop sub-monthly time periods by
12 comparing 5-day to 30-year average rainfall. We
13 encourage EPA to consider adding the capability of
14 AERMET to accept and process daily Bowen ratios.

15 Now, switching to a technique that can
16 identify urban characteristics in highly
17 industrialized areas. As we know, anthropogenic
18 heat releases can cause urban heat island effects.
19 This effect, in turn, prevents the boundary layer
20 from becoming stable at night. We have found that
21 emission sources in highly industrialized areas
22 with significant heat releases may be better
23 characterized with urban dispersion rather than
24 rural. These facilities may include metal
25 processing, such as aluminum smelters or steel

1 mills; oil and gas refineries; taconite processing
2 facilities; and pulp and paper mills.

3 AERMOD has an urban model option that
4 parameterizes the nocturnal boundary layer using a
5 population input variable. The urban formulation
6 uses a relationship between the urban/rural
7 temperature difference and the equivalent
8 population. Satellites provide us with a large
9 data set of surface temperatures, and this data can
10 help inform the applicability of this urban
11 characterization technique.

12 Note the warmer, brighter colors
13 denoting higher surface temperatures for a steel
14 and coke mill in Clairton, Pennsylvania, compared
15 to its cooler rural surrounding. These hot
16 temperatures are very similar to those seen in
17 downtown Pittsburgh.

18 Satellite-derived temperatures can be
19 quite accurate and detect surface temperatures --
20 surface temperature perturbations as small as 1 to
21 2 K for 100-meter resolution images.

22 Note the temperatures obtained by the
23 satellite are nearly identical to the airport's
24 meteorological station in this figure. Only two
25 tenths of a degree Fahrenheit between them.

1 Highly industrialized areas operating
2 24/7 in unpopulated areas can create an urban heat
3 island effect. An equivalent population can be
4 estimated through the use of satellite data. Urban
5 characterization of these highly industrialized
6 areas in AERMOD has been shown to improve model
7 performance when compared with monitored
8 concentrations. The latest updates to Appendix W
9 have allowed for this procedure with appropriate
10 documentation. The source characterization
11 technique has been used and approved by EPA without
12 the need for an alternative model approval. We
13 commend EPA's acceptance of this approach and
14 encourage this extension to other source
15 characterization techniques already developed.

16 Finally, I would like to end with the
17 following innovative techniques. The first has
18 kind of already been discussed in a couple of the
19 presentations. It's a comprehensive debug file
20 that can be used for determining several plume
21 dispersion properties, including whether the plume
22 could reach a peak impact receptor within one hour
23 for each modeled source.

24 The second technique introduces a new
25 keyword in the control pathway called HABINARY

1 [sic] that allows for the import of the AERMOD
2 unformatted one-hour binary output from a separate
3 model run. These input concentrations are then
4 added hour by hour to the current model run for
5 generation of a statistical averaging of ranked
6 highs for all currently evaluated averaging
7 periods.

8 An example from the distance-debug
9 package. By using a new keyword in the control
10 pathway of AERMOD, a file is generated that
11 produces plume and meteorological details for each
12 hour modeled. Each point source is listed along
13 with the peak receptor and associated plume
14 dispersion properties. One such feature is
15 identification of a plume type. In this case, the
16 plume was penetrated for both sources on this day
17 and hour. I think it's important to know what the
18 model is doing and what is going on and not just
19 assume that it's a black box. And that's why I
20 think having debug files is important, not going
21 away from them.

22 As I mentioned, HABINARY has the
23 capability of taking two separate AERMOD runs and
24 merging them together to generate a final
25 statistical -- combined statistical output.

1 However, any data imported must adhere to six
2 important conditions: use of exactly the same
3 receptor file, meteorology covering the same time
4 period, identical downwash for all sources between
5 the two runs, the same modeling period, one-hour
6 binary files, and values only for the all source
7 group. Currently, the program does not check for
8 source group by name.

9 HABINARY could be used by the user to
10 add the results from a previous AERMOD run to an
11 active AERMOD run. This approach would be ideal
12 for sensitivity testing involving multiple sources
13 in which the parameter of only a handful of the
14 multiple sources were varied.

15 In conclusion, I hope to see
16 functionality added to AERMET in the future --
17 future at least to be able to process daily varying
18 Bowen ratios, continued support of source
19 characterization techniques, and incorporation of
20 additional tools within AERMOD, such as
21 distance-debug and HABINARY.

22 Thank you for this opportunity.

23 MR. BRIDGERS: Thank you very much,
24 Chris, for the presentation and AECOM for the
25 comments.

1 So this brings us to the part of the
2 presentation where we will accept additional oral
3 comments from those that didn't request. I should
4 have shown this slide right after we transitioned,
5 but it was most pertinent here. For those that may
6 want to offer oral comments, I just want to remind
7 you that this is a transcribed public hearing. For
8 those that want to not provide oral comments and
9 would like to provide written comments, there is a
10 reminder here that the docket --
11 EPA-HQ-OAR-2019-0454 is the docket for these
12 proceedings, and we will welcome comments in that
13 docket through the end of the day on
14 November 4, 2019.

15 So this is your opportunity. If there
16 were anyone that wanted to present oral comments, I
17 invite you to the microphone. If you do speak, you
18 do need to identify yourself and your company
19 representation.

20 MR. PORTER: All right. Thanks for this
21 opportunity. I'm Matt Porter, North Carolina DEQ.
22 I would like to comment on emission rates for
23 screening analyses. And this is under the PSD
24 program. And based on the following assumptions,
25 assuming a project is over the significant emission

1 rates, and it is a big -- gonna be going through
2 PSD analysis and review, and also assuming that the
3 objective -- any SILs or AQRV screening analysis is
4 to protect the NAAQS and increment and AQRVs.

5 So, yeah, I would like to comment on
6 the -- yeah, the emission rates for single-source
7 impact analysis, as discussed in Appendix W. And
8 you can also refer to that as the SILs or AQRV
9 screening analysis. So, essentially, the screening
10 analysis approach, a de minimis approach, has been
11 discussed -- as George has alluded to, it's been
12 used for 30, 40 years, since the inception of Clean
13 Air Act programs.

14 And over this past year, I've tried to
15 find any Guidance documents at the federal or the
16 state levels that discuss how to come up with
17 emission rates to -- with supporting technical
18 arguments on how to calculate net emission
19 increases for any SILs or AQRV screening analysis.
20 I found no specific examples or technical arguments
21 discussing pros and cons of doing it one way or the
22 other. So I'm not aware of any Guidance documents
23 that go into the depth required to support how to
24 calculate those emission rate increases or
25 decreases. If anybody else has knowledge of those

1 types of documents, I would be interested in
2 hearing what your inputs are.

3 Some states provide the guidance, but
4 there is no real background and technical arguments
5 to support the options proposed for calculating
6 those emission rate increases and decreases. The
7 net emission increases is, essentially, what I'm
8 referring to. So in absence of any definitive
9 technically defensible guidance, I decided to go
10 look at what the rules require.

11 And under the PSD rules for the source
12 impact analysis, subpart 51, 166, paragraph K, in
13 brief, allowable emission increases and associated
14 increases in reductions for any PSD project would
15 or should not result in exceedances of the NAAQS or
16 the increment or, in the case of Class 1 areas,
17 AQRVs. And this applies to all pollutants -- all
18 PSD pollutants and averaging periods, and AQRVs
19 visibility deposition, for example.

20 Now, allowable emissions is defined
21 under the PSD rules as being, in brief,
22 enforceable, either through NSPS, or SIP, or
23 potential to emit. Now, the increase is not well
24 defined, so getting back to this net emission
25 increase issue, how you go about calculating the

1 net emission increase using the allowable emissions
2 minus some baseline. Now, the baseline emission
3 rate would inevitably come from some -- some
4 baseline that the atmosphere would see,
5 conceivably. But I will get into that a little bit
6 more.

7 Essentially, the objective of any of
8 these calculating the net emission increase for
9 producing an emission rate to feed into a SILs
10 analysis or AQRV analysis is to protect those --
11 those standards. And the form of those standards,
12 be they deterministic or probabilistic.

13 The other part of the PSD rules which
14 are fairly prescriptive refer to Appendix W, and in
15 Appendix W, the single-source analysis is
16 considered the first phase of any model
17 demonstration. And I'm paraphrasing here: It's
18 used to identify a potential worst-case emissions
19 and worst-case operating scenarios. And within
20 that context, it would make the most sense to
21 calculate the net emission increase based on an
22 annualized hourly baseline emission rate to capture
23 all hours of the year for all different operating
24 scenarios for any particular source.

25 So, essentially, the objectives for any

1 screening SIL AQRV analysis should be, if you are
2 less than those SILs, or, you know, in the case of
3 AQRV analysis, less than 10, the q/d flag 2010
4 criteria, you're assuming the project and all the
5 sources within that project would not cause an
6 exceedance of the NAAQS with increment or the AQRVs
7 at any Class 1 areas within 300 km of the project.

8 The other objective would be the -- from
9 a state perspective, is that this net emission
10 increase methodology -- the calculation methodology
11 would be fair and consistent for all source types
12 and applicants, be they continuous, batch, or
13 perhaps there are sources with larger operational
14 variabilities to consider.

15 And the other final objective would be
16 that calculating this -- the net emission increase
17 for the screening analysis would be simple and
18 defensible for permit authorities to explain and
19 enforce if need be.

20 MR. BRIDGERS: Thank you, Matt and
21 NCDEQ, for those comments.

22 Once again, I offer the podium for
23 anyone that would like to offer oral comments to
24 the docket.

25 (No response.)

1 MR. BRIDGERS: Once again, I will make a
2 second offer.

3 (No response.)

4 MR. BRIDGERS: I will have the record
5 reflect that there were no other offers or oral
6 comments. I will reiterate that we do have a
7 docket that will be open until November 4th for
8 written comments.

9 As we close our public hearing, first
10 and foremost, as I started the public hearing, I
11 want to thank everyone for their participation over
12 the last two days. I've heard a lot of positive
13 feedback, but I also would like to get your
14 critical feedback in the days to come as well. I
15 hope your journeys home are safe, or wherever your
16 journeys may take you, and will say it's been my
17 distinct honor to have been the public hearing
18 officer for the 12th Conference on Air Quality
19 Modeling, and by here we will close the
20 conference.

21

22 (Conference concluded at 4:04 p.m.)

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25


CERTIFICATE OF REPORTER

STATE OF NORTH CAROLINA)
COUNTY OF WAKE)

I, Joann Bunze, RPR, do hereby certify that the foregoing represents a true and accurate transcript of the proceedings held at the United States Environmental Protection Agency in Research Triangle Park, North Carolina, on Thursday, October 3, 2019.

I do further certify that I am not counsel for, related to, nor employed by any of prty to this action.

This the 10th day of December, 2019.



JOANN BUNZE, RPR

Notary Public #200707300112