

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

U.S. ENVIRONMENTAL PROTECTION AGENCY

PESTICIDE PROGRAM DIALOGUE COMMITTEE MEETING

Wednesday, June 5, 2024

11:00 a.m.

DAY 1

1 PESTICIDE PROGRAM DIALOGUE COMMITTEE ROSTER

2 June 2024

3 NAME AFFILIATION

4 User/Grower Groups/ Farmer Representatives

5 Andrew Architect National Pest Management  
6 Association

7 Bob Mann National Association of  
8 Landscape Professionals

9 Claudia Arrieta Cargill

10 Gary Prescher National Corn Growers  
11 Association

12 George Parker National Agricultural  
13 Aviation Association

14 Grant Morris National Potato Council

15 Jill Schroeder Weed Science Society of  
16 American

17 John Wise IR-4 Project

18 Kim Brown University of Tennessee

19 Patrick Johnson, Jr. National Cotton Council

20 Robert Nielsen Gold Course Superintendents  
21 Associations of America

22  
23 Environmental/ Public Interest/ Animal Welfare Groups

24 Alexis Temkin Environmental Working Group

25

1	NAME	AFFILIATION
2	Anna van der Zalm	People for the Ethical
3		Treatment of Animals
4	David Shaw	Mississippi State University
5	Ed Hardy Kern	American Bird Conservancy
6	Kelly Bills	Pollinator Partnership
7	Nathan Donley	Center for Biological
8		Diversity
9	Rosemary Malfi	The Xerces Society for
10		Invertebrate Conservation
11		
12	Farmworker Representatives	
13	Alexis Guild	Farmworker Justice
14	Becca Berkey	Northeastern University
15	Emma Torres	Campesinos Sin Fronteras
16	Mily Treviño-Sauceda	Alianza Nacional de
17		Campesinas, Inc.
18		
19	Public Health Representatives	
20	Alanna Bares	California Environmental
21		Protection Agency
22	Daniel Markowski	American Mosquito Control
23		Association
24	Joseph Grzywacz	San Jose State University
25	Marc Lame	Indiana University

1	NAME	AFFILIATION
2	Chemical and Biopesticides Industry/Trade	
3	Associations	
4	Anastasia Swearingen	American Chemistry Council
5	Daren Coppock	Agricultural Retailers
6		Association
7	Keith Jones	Biological Products Industry
8		Alliance
9	Ligia Duarte	Household & Commercials
10		Products Association
11	Lisa Dreilinger	Arxada
12	Manojit Basu	CropLife America
13	Terry Kippley	Council of Producers and
14		Distributors of
15		Agrotechnology
16		
17	State/Local/Tribal Government	
18	Brian Verhougstraete	Association of American
19		Pesticide Control Officials
20	David Heimer	Washington Department of
21		Fish and Wildlife
22	Eric Gjevre	Tribal Pesticide Program
23		Council
24	Wendy Sue Wheeler	Washington State University
25		

1	NAME	AFFILIATION
2	Federal Agencies	
3	Ed Messina (Chair)	Office of Pesticide Programs
4		Environmental Protection
5		Agency
6	Gina Shultz	Ecological Service
7		US Fish and Wildlife Service
8	Kimberly Nesci	Office of Pest Management
9		Policy
10		US Department of Agriculture
11	Walter Alarcon	National Institute for
12		Occupational Safety and
13		Health
14		Centers for Disease Control
15		and Prevention
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

I N D E X

1

2 Meeting Logistics -- Page 7

3

4 Meeting Welcome -- Page 11

5

6 PPDC Member Instructions -- Page 17

7

8 OPP Updates: Recent Activities,

9 Accomplishments, and Workload Metrics -- Page 32

10

11 Pesticide Label Reform Workgroup Update -- Page 98

12

13 Emerging Pathogen Implementation

14 Committee Update -- Page 140

15

16 Pesticide Resistance Management #2

17 Workgroup Update -- Page 168

18

19 Public Comments -- Page 216

20

21

22

23

24

25

## 1 P R O C E E D I N G S

2 DAY ONE - JUNE 5, 2024

## 3 MEETING LOGISTICS

4 JEFFREY CHANG: I'm going to start now.

5 Good morning. Warm welcome to members of the  
6 public, Federal Advisory Committee members,  
7 workgroup members, EPA and other agency staff who  
8 have joined virtually. This is Day 1 of June 2024  
9 Pesticide Program Dialogue Committee meeting.

10 My name is Jeffrey Chang, the designated  
11 Federal Official for the PPDC and moderator for the  
12 next two days.

13 If technical issues arise, please bear  
14 with us. If you have any technical questions,  
15 please email Kevin Annas as Annas.Kevin@EPA.gov.  
16 That's A-N-N-A-S.K-E-V-I-N@epa.gov.

17 Accommodations, ASL, CART, and translation  
18 services are available.

19 In just a moment, I'll pass it over to  
20 Deputy Assistant Administrator for Pesticide  
21 Programs Jake Li to officially open the meeting.  
22 But before I do, I want to go over some quick  
23 housekeeping items as we get started today.

24 I want to draw your attention to the  
25 interpretation button on the bottom panel of your

1 Zoom window, to the right of your screen. In just a  
2 moment, I will enable interpretation. Regardless of  
3 your preferred language, you will need to click on  
4 that button and select either English or Spanish and  
5 mute original audio to be able to fully participate  
6 in the meeting. This will place you in either the  
7 English or Spanish channel, and as we anticipate a  
8 bilingual meeting today, it is important that you  
9 choose one of these channels.

10 For our Spanish-speaking colleagues, I  
11 will now turn it over to Jacqueline, who will  
12 provide these instructions in Spanish in the main  
13 channel.

14 (Instructions in Spanish.)

15 JEFFREY CHANG: Thank you, Jackie.

16 Give me a second. Is interpretation  
17 enabled? I'm sharing the screen, so I can't -- give  
18 me a second.

19 Okay. Let's move forward. Elton or  
20 Faraz, is interpretation on?

21 MALE: Yes, interpretation is on.

22 JEFFREY CHANG: Okay. Perfect.

23 THE INTERPRETER: I am sorry to interrupt.  
24 I am not in my channel.

25 MALE: You're not in your channel?



1           MALE: Jeffrey, you can just make me a  
2 host. I can set that up.

3           JEFFREY CHANG: Okay. Sorry, guys. Give  
4 me a second.

5           Nope. You know what, I can do it. I  
6 believe you are added now, Jackie.

7           THE INTERPRETER: I am not.

8           JEFFREY CHANG: Nope?

9           Kevin, you're a host now.

10          KEVIN: She's in there now.

11          JEFFREY CHANG: Great.

12          Closed captioning and live transcription  
13 is available to those who use the service by  
14 checking the closed captioning button in the bottom  
15 panel of your Zoom screen. We also have an ASL  
16 interpreter today and CART provider. These services  
17 can also be accessed through the interpretation  
18 button used to select Spanish translation.

19          If you're a member of the public, unless  
20 you indicated interest in providing oral comments  
21 when you registered, you will be in listening mode  
22 for the duration of the event. If you did not  
23 preregister for comment, you may email me at  
24 Chang.Jeffrey@epa.gov or use the "raise hand"  
25 function once we come to the public comment period

1 at the end of the day and we will do our best to  
2 recognize you during the public comment session on  
3 each day of the meeting after we recognize those who  
4 signed up to make public comments in advance.

5 PPDC and workgroup co-chairs are  
6 designated as panelists in Zoom, meaning that they  
7 can request to be recognized during the discussion  
8 sessions by using the "raised hand" function and can  
9 unmute themselves and activate their webcams after  
10 being call upon. It is very important that you  
11 remain muted with your webcam off unless you are  
12 recognized to speak.

13 Today's meeting is being recorded for the  
14 purpose of having meeting transcripts produced. We  
15 ask that all presenters speak slowly and clearly to  
16 ensure that everyone can understand and participate  
17 fully in the meeting. Conversations should take  
18 place orally. The chat function should only be used  
19 to contact the meeting host.

20 Finally, as I recognize members of the  
21 PPDC and public for comments, I'll do my best to  
22 correctly pronounce your names, but I apologize  
23 ahead of time if I mispronounce your name and ask  
24 that you please correct me in the case that I do.

25 I will now hand it over to Jake Li, Deputy

1 Assistant Administrator for Pesticide Programs, to  
2 give a welcome message.

3 Welcome, Jake.

4 MEETING WELCOME

5 JAKE LI: Great. Thanks very much,  
6 Jeffrey. And good morning, everyone. Welcome to  
7 the PPDC.

8 This is a new cycle of membership. So we  
9 wanted to give our new and returning members a  
10 really warm welcome. We actually got a lot of  
11 interest in membership over this past cycle and we  
12 really appreciate our new members for their time and  
13 the perspectives that they're going to provide.

14 We have members from various  
15 organizations, including industry, nonprofits,  
16 universities, and collectively they represent a  
17 really wide range of stakeholders that I know care a  
18 lot about our work. We really appreciate that  
19 you're here to learn about our work and to actually  
20 help us do a better job.

21 As Jeffrey has noted, we have a really  
22 full agenda today and tomorrow. I'm going to talk a  
23 bit about the PPDC and its charter and what we're  
24 here to do today.

25 So first up, let me refresh everyone on

1 what the PPDC is chartered to do. It's a Federal  
2 Advisory Committee formed in 1995 under the FACA,  
3 which stands for the Federal Advisory Committee Act.  
4 And the point here is to create an orderly process  
5 for federal agencies to seek collective advice from  
6 customers, partners, and stakeholders.

7 FACA establishes the procedures for how  
8 federal agencies need to manage these Federal  
9 Advisory Committees to ensure transparent  
10 decision-making by the committees and to ensure  
11 balanced representation.

12 So PPDC supports EPA in work under FIFRA,  
13 under the Food, Drug and Cosmetic Act, under the  
14 Food Quality Protection Act, and under the Pesticide  
15 Regulatory Improvement Act. Our Office of Pesticide  
16 Programs is entrusted with ensuring that Americans  
17 aren't exposed to unsafe levels of pesticides in  
18 foods, protecting Americans from unreasonable risk,  
19 of educating pesticide applicators and others who  
20 may be exposed to pesticides and protecting the  
21 environment, special ecosystems, and wildlife from  
22 pesticide risk.

23 The PPDC is a policy-oriented committee  
24 that provides policy advice, information, and  
25 recommendations to EPA. The PPDC provides a public

1 forum to collaboratively discuss these pesticide  
2 issues, including regulatory development and reform  
3 and how EPA implements its pesticide program. These  
4 evolving policy issues may include OPP's work on  
5 environmental justice, climate change, pollinators,  
6 and endangered species protection.

7 Now, with this background from the charter  
8 in mind, I want to give you a bit of background on  
9 the workgroup updates that you're going to hear  
10 about today and tomorrow. This is really just a  
11 refresher for those who are familiar with the  
12 workgroup and an introduction for those who aren't  
13 familiar. So workgroups are sometimes formed to  
14 help the PPDC with research, information gathering,  
15 and documenting and drafting support documents for  
16 the full committee to consider.

17 Now, as described in the PPDC charter,  
18 workgroups and subcommittees are formed either by  
19 EPA or with EPA's approval for any purpose that's  
20 consistent with the charter. These subcommittees or  
21 workgroups may not work independently of the charter  
22 committees and they must report their  
23 recommendations and advice to the PPDC for full  
24 deliberation and discussion.

25 Subcommittees our workgroups have no

1 authority to make decisions on behalf of the  
2 committee, nor can they report directly to EPA.

3 There are four PPDC workgroups that were formed in  
4 2020. These workgroups explored charge questions on  
5 emerging and viral pathogens, emerging agricultural  
6 technologies, farmworker and clinician training, and  
7 pesticide resistance management.

8           These are all really pressing issues for  
9 OPP and we continue to develop practical and  
10 protective approaches based on some of the  
11 recommendations that came out from these  
12 subcommittees and that went through the full  
13 committee.

14           The reports and the presentations are on  
15 our website, including the full transcripts of  
16 everything that was discussed during the meeting.  
17 This is also true of the past PPDC meetings.

18           In 2022, the PPDC voted to have the Label  
19 Reform Workgroup and the Resistance Management  
20 Workgroup Number 2 to handle three charge questions  
21 that came out of the original Resistance Management  
22 Workgroup. And, finally, at the most recent and  
23 this last PPDC meeting, the PPDC voted to reform the  
24 Farmworker Workgroup. This means that the Committee  
25 currently has four active workgroups, the Label

1 Reform Workgroup, the second Resistance Management  
2 Workgroup, the Emerging Pathogens Implementation  
3 Committee, and then the Farmworker Workgroup.

4           The Label Reform Workgroup will update the  
5 PPDC on their progress after lunch today and the  
6 Emerging Pathogens Group will talk, and we'll  
7 conclude with Resistance Management. Tomorrow,  
8 we'll hear from the Farmworker Workgroup. Each  
9 session will be followed by a discussion about the  
10 whole PPDC, and we welcome active member engagement.  
11 This is a discussion facilitated by Ed Messina, but  
12 really this is your discussion.

13           In addition to the workgroup updates, we  
14 have interesting sessions over the next two days  
15 based on input from the PPDC members. We're going  
16 to start off from a discussion from Ed Messina on  
17 OPP's work over the past year on science and  
18 technology and on the various deliverables that we  
19 had last year and what's happening over the next  
20 year. And then we'll have another group discussion  
21 on anything that OPP has done this past year. And  
22 you can offer advice on that work.

23           We're also going to share updates on  
24 endangered species activities and PRIA 5  
25 implementation and we'll have a session on improving

1     how we spread information about risk reduction  
2     programs for pesticides.

3             The PPDC has a history over these many  
4     years of engaging in open dialogues and respectfully  
5     sharing different opinions on these issues with the  
6     goal of working together as a committee and  
7     providing advice to EPA. We're confident that the  
8     meeting today and tomorrow will result in really  
9     helpful feedback for EPA.

10            And, now, in concluding my remarks, I want  
11     to turn to the member introductions. I'll hand this  
12     over to Jeffrey, but before I end, I want to say to  
13     our returning members, thank you for your many years  
14     of service, and to our new members, welcome and we  
15     look forward to working with you over the coming  
16     years. Thanks again.

17            JEFFREY CHANG: Thank you, Jake.

18            Let's take a minute to walk through the  
19     agenda. In just a moment, I will roll call members  
20     of the PPDC. After that, Ed Messina, the Director  
21     of the Office of Pesticide Programs and PPDC Chair  
22     will give an update from the Office of Pesticide  
23     Programs. Then, we will break for lunch starting at  
24     1:00, reconvening at 1:45 for an update from the  
25     Pesticide Label Reform Workgroup, followed by a



1 discussion.

2 At 2:45 p.m., we will receive an update on  
3 the Emerging Pathogen Implementation Committee with  
4 an opportunity for a discussion. After, we will  
5 hear an update from the Pesticide Resistance  
6 Management Workgroup Number 2. At around 4:30 is  
7 the public's opportunity for comment. This is the  
8 only time when we will hear from the public. As  
9 mentioned before, we will open the meeting up to  
10 those who signed up to provide comment and we'll get  
11 to as many of those who have contacted us during the  
12 meeting as time will allow before we adjourn at 5:00  
13 p.m.

14 PPDC MEMBER INTRODUCTIONS

15 JEFFREY CHANG: Now, I will roll call  
16 members of the PPDC. I will call these in  
17 alphabetical order by first name. The list of  
18 members will be shown on the screen. Those who have  
19 an asterisk next to their name are brand new  
20 members. We thank you for your service.

21 When I call your name, please unmute your  
22 microphone and tell us your name, role, the  
23 organization or group you represent and their  
24 mission. And as a reminder, please mute your  
25 microphone when you are finished.

1 Starting first, we have Alanna Bares.

2 ALANNA BARES: Hi, my name is Alanna  
3 Bares. I am a Public Health Medical Officer with  
4 the Office of Environmental Health Hazard  
5 Assessment, which is part of the California  
6 Environmental Protection Agency, and my role is to  
7 train clinicians on pesticide illness and pesticide  
8 exposure.

9 JEFFREY CHANG: Thank you.

10 ALANNA BARES: Thank you.

11 JEFFREY CHANG: Alexis Guild.

12 ALEXIS GUILD: Hello. My name is Alexis  
13 Guild. I am the Vice President of Strategy and  
14 Programs at Farmworker Justice. We are a national  
15 organization whose aim is to empower farmworkers to  
16 improve their living and working conditions, and I  
17 work on our policy and programmatic work.

18 Thank you.

19 JEFFREY CHANG: Thank you. Alexis Temkin.

20 ALEXIS TEMKIN: Yeah, good morning. I'm  
21 Alexis Temkin. I'm a senior toxicologist at the  
22 environmental working group, which is a nonprofit  
23 research organization focused on environmental  
24 health and communicating exposures and health risks  
25 on chemicals in the environment, especially

1 pesticides, but also industrial chemicals and  
2 consumer product chemicals to the general public.

3 Thank you.

4 JEFFREY CHANG: Anastasia Swearingen.

5 ANASTASIA SWEARINGEN: Hi, I'm Anastasia  
6 Swearingen. I'm the Executive Director of the  
7 Center for Biocide Chemistries. We represent  
8 antimicrobial registrants and a range of industrial  
9 residential and consumer applications.

10 JEFFREY CHANG: Andrew Architect.

11 ANDREW ARCHITECT: Hey, good morning.  
12 Andy Architect. I'm the Chief Operating Officer  
13 with the National Pest Management Association.  
14 We're a nonprofit trade association that represents  
15 pest control operators that protect people, food,  
16 and property from pests and the diseases that they  
17 transmit.

18 So thanks for having me.

19 JEFFREY CHANG: Anna van der Zalm.

20 ANNA VAN DER ZALM: I'm Anna van der Zalm.  
21 I'm here representing People for the Ethical  
22 Treatment of Animals. My background is in chemistry  
23 and biophysics. I trained at the University of  
24 Oxford in the U.K., and for the past six years, I've  
25 been advisor to the PETA Science Consortium

1 International. And as an organization, we're made  
2 up of 25 scientists collaborating with government,  
3 industry, method developers, academics, and other  
4 NGOs to advance reliable and relevant non-animal  
5 toxicity testing approaches with the aim to protect  
6 human health and the environment.

7 So thank you so much for having me. I'm  
8 looking forward to the meeting.

9 JEFFREY CHANG: Becca Berkey. She might  
10 not be here.

11 Bob Mann.

12 BOB MANN: Good morning, everyone. I'm  
13 Bob Mann, Senior director of Technical and  
14 Regulatory Affairs from the National Association of  
15 Landscape Professionals. Good to be with you this  
16 morning.

17 JEFFREY CHANG: Brian.

18 BRIAN VERHOUGSTRAETE: Hi, there, Brian  
19 Verhougstraete. I'm with the Michigan Department of  
20 Agriculture and Rural Development. I am the  
21 Pesticide Section Manager for the State of Michigan.  
22 My program is the state lead agency for pesticide  
23 regulation in the State of Michigan. I am also on  
24 the APPCO Board of Directors.

25 Thank you for having us.

1           JEFFREY CHANG: Caleb Ragland.

2           CALEB RAGLAND: Here. I represent the  
3 American Soybean Association. I'm a farmer in  
4 Kentucky.

5           JEFFREY CHANG: Claudia Arrieta.

6           (No response.)

7           JEFFREY CHANG: Daniel Markowski.

8           CLAUDIA ARRIETA: Sorry.

9           JEFFREY CHANG: Oh, sorry, Claudia.

10          CLAUDIA ARRIETA: Yes, my name is Claudia  
11 Arrieta. I work for Cargill  
12 in Research and Development and I am the lead for  
13 integrated pest management in our facility working  
14 with different crops on IPMs.

15          JEFFREY CHANG: Daniel Markowski.

16          DANIEL MARKOWSKI: Hello, good morning.  
17 Dan Markowski. I'm with the American Mosquito  
18 Control Association, technical advisor representing  
19 a group of publicly-funded mosquito control  
20 professionals, researchers, academicians, industry  
21 suppressing mosquito populations and mosquito-borne  
22 diseases.

23          JEFFREY CHANG: Daren Coppock.

24          DAREN COPPOCK: Good morning, everyone,  
25 Daren Coppock. I'm the president and CEO of the

1 Agricultural Retailers Association. Originally, a  
2 farm kid myself, our association represents the  
3 companies that are trusted advisors to America's  
4 farmers, providing the products and services they  
5 need.

6 JEFFREY CHANG: David Heimer.

7 DAVID HEIMER: Hello, I'm David Heimer.  
8 I work for Washington Department of Fish and  
9 Wildlife as a noxious weed coordinator. And the  
10 Department of Fish and Wildlife's goal is to  
11 preserve, protect, perpetuate fish and wildlife  
12 while providing sustained fish and wildlife  
13 recreational and commercial opportunities.

14 JEFFREY CHANG: David Shaw.

15 DAVID SHAW: Good morning, everyone.  
16 David Shaw. I'm a weed scientist at Mississippi  
17 State University representing the Weed Science  
18 Society of America. The society is a nonprofit  
19 professional society that is -- whose mission is to  
20 promote research, education, outreach, and awareness  
21 of weeds and manage the natural ecosystems.

22 JEFFREY CHANG: Ed Hardy Kern.

23 ED HARD KERN: Good morning, everyone. My  
24 name is Hardy Kern. I am Director of Government  
25 Relations for American Bird Conservancy. I

1 apologize if anyone is having trouble hearing me. I  
2 had like an internet blip on my end, so everyone is  
3 frozen. But we focus on regulatory and policy  
4 solutions to accidental toxic threats and toxic  
5 threats to birds and other wildlife across the  
6 Americas.

7 JEFFREY CHANG: Emma Torres.

8 EMMA TORRES: Good morning. My name is  
9 Emma Torres and I am the CEO and founder of  
10 Campesinas Sin Fronteras, 501(c)(3) community-based  
11 organization located in Yuma County, Arizona.  
12 We work with the  
13 agricultural industry, particularly with the  
14 farmworkers families, providing pesticide  
15 [connection issue] environmental health and social  
16 services here in our community. Thank you.

17 JEFFREY CHANG: Eric Gjevre will be  
18 joining us later, I believe.

19 Gary Prescher.

20 GARY PRESCHER: Yes, good morning,  
21 everyone. I'm from Minnesota and I'm a director on  
22 the Minnesota Corn Research and Promotion Council.  
23 Through that, I represent the National Corn Growers  
24 Association and the interests of the 40,000  
25 dues-paying members across the country. The mission

1 of the NCGA is to help protect and advance corn  
2 grower's interests.

3 JEFFREY CHANG: George Parker.

4 GEORGE PARKER: Good morning. My name is  
5 George Parker. I'm a second generation aerial  
6 applicator originally from New York. I operate in  
7 Crop Jet Aviation in Southern Idaho, and we make  
8 applications on regular farm crops, field crops,  
9 species, we make applications for invasive species,  
10 weed pest management for government agencies, and we  
11 also spray spongy moth forestry applications for  
12 government agencies through the Northwest.

13 I am here representing the National  
14 Agricultural Aviation Association, and our goal is  
15 to share perspective on aerial pesticide applicators  
16 and maintain aerial labels on the products that are  
17 so critical to our feeding the world.

18 JEFFREY CHANG: Gina Shultz.

19 (No response.)

20 JEFFREY CHANG: Grant Morris.

21 GRANT MORRIS: Hi, my name is Grant  
22 Morris. I'm a potato grower from Washington State,  
23 and I am here representing the National Potato  
24 Council.

25 JEFFREY CHANG: Thank you. Jill



1 Schroeder.

2 JILL SCHROEDER: Good morning. My name is  
3 Jill Schroeder and I am an Emeritus Professor at New  
4 Mexico State University. I am here representing the  
5 Weed Science Society of America and, as you know, we  
6 are a nonprofit organization with emphasis on  
7 research extension and outreach and education in all  
8 areas related to weed science and invasive species  
9 management. Thank you.

10 JEFFREY CHANG: Joe Grzywacz.

11 JOE GRZYWACZ: Hi, my name is Joe  
12 Grzywacz. I am at San Jose University where I'm the  
13 Associate Dean for Research. I am on this committee  
14 representing both public health-related research and  
15 farmworker protection and advocacy. It's great to  
16 be here. Thanks for your time.

17 JEFFREY CHANG: John Wise.

18 JOHN WISE: Good morning, everybody. I'm  
19 John Wise. I'm an entomologist by training and I'm  
20 representing IR-4, which is NIFA-funded program  
21 that develops data requirements for registry  
22 pesticides and biopesticides for specialty crops.  
23 Thank you.

24 JEFFREY CHANG: Karen Reardon.

25 KAREN REARDON: Good morning. I'm Karen

1 Reardon. I am Vice President of Public Affairs with  
2 the trade association, RISE, Responsible Industry  
3 for a Sound Environment, and we represent the  
4 companies that manufacture, formulate, and  
5 distribute the pesticides that would be used by  
6 consumers and professional applicators to protect  
7 people and places. Thanks.

8 JEFFREY CHANG: Keith Jones.

9 KEITH JONES: Good morning. Keith Jones.  
10 I'm the Executive Director of BPIA. BPIA is the  
11 association representing the biopesticide industry.

12 JEFFREY CHANG: Kelly Bills.

13 (No response.)

14 JEFFREY CHANG: Kim Brown.

15 KIM BROWN: Hi, my name is Kim Brown with  
16 the University of Tennessee, and I have spent a  
17 career doing pesticide safety education and working  
18 with growers and pesticide applicators on how to use  
19 pesticides safely and correctly.

20 JEFFREY CHANG: Kimberly Nesci.

21 KIMBERLY NESCI: I'm Kimberly Nesci. I am  
22 Director of the Office of Pest Management Policy in  
23 the U.S. Department of Agriculture. I represent  
24 USDA. So I'm one of the federal members on the  
25 committee. And my office, the Office of Pest

1 Management Policy, is the lead office for pesticide,  
2 regulatory, and policy issues for the Department of  
3 Ag. And we were established by Congress to serve as  
4 voice of growers in conversations with EPA on  
5 pesticide regulatory issues. Thank you.

6 JEFFREY CHANG: Ligia Duarte.

7 LIGIA DUARTE: Hi, everyone. I'm Ligia  
8 Duarte, Senior Director of Regulatory Affairs at the  
9 Household and Consumer Product Association. HCPA is  
10 a trade association representing companies that make  
11 and sell products used for cleaning, protecting,  
12 maintaining, and disinfecting in homes and  
13 commercial environments, and our mission is to  
14 protect, promote, and enhance the household and  
15 commercial products industry and the consumers and  
16 workers who use our members' products. Pleased to  
17 be here and I look forward to this meeting.

18 JEFFREY CHANG: Lisa Dreilinger.

19 LISA DREILINGER: Hi, good morning. Lisa  
20 Dreilinger, Global VP of Regulatory at Arxada. We  
21 are the global leaders in sustainable preservation  
22 and microbial control solutions.

23 JEFFREY CHANG: Manojit Basu.

24 MANOJIT BASU: Good morning, everyone.  
25 Manojit Basu. I am the Vice President - Science

1 Policy at CropLife America. CropLife America  
2 represents the developers, manufacturers,  
3 formulators, and distributors of pesticides and  
4 planned science solutions for agriculture and pest  
5 management in the United States. CLA's members  
6 produce, sell, and distribute virtually all  
7 pesticides and biotechnology products used by  
8 American farmers. Thank you.

9 JEFFREY CHANG: Mark Lame.

10 MARK LAME: [Connection issue] represent  
11 public health. I am an Emeritus Professor at  
12 Indiana University's School of Public and  
13 Environmental Affairs where I teach environmental  
14 management. And as a clinical professor, my work  
15 was in -- as an entomologist, was in integrated pest  
16 management. I implemented integrated pest  
17 management programs in agriculture, and in the built  
18 environment more recently, for the last 35 years.  
19 Now, I try to teach young folks how to become  
20 environmental managers.

21 This is a great committee. You'll learn a  
22 lot being on it. So welcome and thanks for having  
23 me around.

24 JEFFREY CHANG: Mily will be joining us  
25 later.

1 Nathan Donley.

2 NATHAN DONLEY: Hey there. Nathan Donley.

3 I am the Environmental Health Science Director at  
4 the Center for Biological Diversity, and we work to  
5 protect people and wildlife from pesticide harm.  
6 I'm happy to be here.

7 JEFFREY CHANG: Patrick Johnson.

8 (No response.)

9 JEFFREY CHANG: Robert Nielson.

10 ROBERT NIELSON: Hi, my name is Bob  
11 Nielsen. I'm a golf course superintendent in  
12 Bedford, New York. And I'm representing the Golf  
13 Course Superintendents Association of America, which  
14 is comprised of 20,000 men and women maintaining  
15 approximately 2 million acres of turf grass.

16 JEFFREY CHANG: Rosemary Malfi.

17 ROSEMARY MALFI: Happy to be here with  
18 you all. I'm Rosemary Malfi. I'm here to represent  
19 The Xerces Society, a donor-funded, nonprofit that  
20 is dedicated to conserving invertebrate species and  
21 their habitats. This includes, but is certainly not  
22 limited to, pollinator insect species.

23 I work in the Pesticide Reduction Program  
24 as a policy lead, but I will actually soon be  
25 transitioning to a new role as the Director of

1 Conservation Policy for the organization.

2 Very happy to be here and to learn from  
3 you all. Thanks for having me.

4 JEFFREY CHANG: Terry Kippley.

5 TERRY KIPPLEY: Hello, I'm Terry Kippley.  
6 I'm the President and CEO of the Council of  
7 Producers and Distributors of Agrotechnology. Our  
8 members distributed approximately 85 to 90 percent  
9 of about the \$16 billion pesticide market in the  
10 U.S. Our members also are inert manufacturers,  
11 in-tank adjuvants. I grew up on a dairy farm  
12 outside of Madison, Wisconsin. When I was able to  
13 convince my dad that, hey, I wasn't going to milk  
14 cows, I was an intern as a crop scout, walked potato  
15 fields in Wisconsin.

16 I then started my career walking soybean  
17 and cornfields as a technical agronomist for  
18 Monsanto, then went into the commercial side of the  
19 business where I was a president of a post-patent  
20 company that relied heavily upon EPA for  
21 registrations, and now I'm happy to support the  
22 industry, and the focus of our group has really  
23 helped farmers with agrotechnology. And happy to be  
24 here.

25 JEFFREY CHANG: Walter will join later.

1 Wendy Sue Wheeler.

2 WALTER ALARCON: I am here.

3 JEFFREY CHANG: Oh, sorry, Walter.

4 WALTER ALARCON: Good morning. My name is  
5 Walter Alarcon. I am a research epidemiologist with  
6 NIOSH CDC. My role is (inaudible) officer for the  
7 SENSOR-Pesticides Program. The SENSOR-Pesticides  
8 Program attracts acute pesticide poisonings among  
9 workers. The program is with the National Institute  
10 for Occupational Safety and Health with the Centers  
11 for Disease Control and Prevention, and we're  
12 located in Cincinnati, Ohio. Thank you.

13 JEFFREY CHANG: Wendy Sue Wheeler.

14 WENDY SUE WHEELER: My name is Wendy Sue  
15 Wheeler. I am the Director of Washington State  
16 University Pesticide Resources and Education  
17 Program. The organization that I represent is  
18 AAPSE, the American Association of Pesticide Safety  
19 Educators. AAPSE's mission is to enhance public  
20 health and the environment through involvement in  
21 education, outreach and research which directly  
22 benefits pest managers, policymakers, and the public  
23 for nearly two million people across the United  
24 States. This includes farm laborers, backyard  
25 gardeners to inner city and remote rural communities

1 with education and outreach each year. It's great  
2 to be here.

3 JEFFREY CHANG: Thank you members of the  
4 PPDC for being here today and for your service to  
5 the EPA.

6 Now, I will hand it over to Ed Messina,  
7 Director of the Office of Pesticide Programs and  
8 Chair of the PPDC, to give an OPP update. Thank  
9 you.

10 OPP UPDATES: RECENT ACTIVITIES, ACCOMPLISHMENTS,  
11 AND WORKLOAD METRICS

12 ED MESSINA: Thanks, Jeffrey. Thanks,  
13 Jake, for opening remarks. And thank you, everyone,  
14 for attending this meeting. As folks who have  
15 attended this in the past, you know that this is one  
16 of my favorite meetings. It really brings together  
17 stakeholders from across the spectrum that are  
18 focused on protecting human health and the  
19 environment and delivering food to the table of the  
20 American citizens and the world. So it's an amazing  
21 experience, I do agree.

22 Hopefully, you will learn a lot and,  
23 hopefully, your experience in your own right, will  
24 provide great feedback for the agency here on  
25 various topics that are built by the PPDC members



1 and suggestions. At the very end of this, we'll  
2 take a survey back of how we did in terms of  
3 delivering information and see what we can do better  
4 at the next meeting and we'll take that forward to  
5 the next PPDC meeting that we will have in the fall.

6 I would have much rather have been with  
7 you in person. Those discussions are always fun and  
8 it's really great to have some of the side  
9 discussions and meet the people face-to-face.  
10 Apologies. Unfortunately, our budget for '24 did  
11 not allow us to have the adequate funding to have  
12 this in person, so we did go remotely. I've got a  
13 couple of slides that are of interest to many of the  
14 members and members of the public who are attending  
15 in terms of our resources and our metrics. So with  
16 that, I will start sharing my screen and walk  
17 through the various topics that PPDC members were  
18 interested in hearing about.

19 So let me share my screen. So hopefully,  
20 folks can see my screen. Can I get a thumbs up?  
21 And it's in slide view, so you see the big view.  
22 Thanks, Dan.

23 All right. So some changes to OPP in  
24 terms of folks' positions. Mike Goodis, who had  
25 been -- had a basically a 30-year career in the

1 Federal Government, his last day was last week. We  
2 had a number of send-offs for him. He was really  
3 instrumental in helping the Office of Pesticide  
4 Programs be the best it could be. The former  
5 director of the Registration Division, among many  
6 positions that he held and, ultimately was the  
7 Deputy Director for Programs, so that position is  
8 now vacant. We've done announcements and we are  
9 doing interviews to select somebody for that role.

10 Leo Gueriguian was -- who had been acting  
11 as the Deputy Director for Management has now been  
12 made permanent, so some good news there, since the  
13 last time we spoke to this group.

14 Liz Donovan was also made permanent as the  
15 Associate Director in the Antimicrobials Division.

16 And then Anne Overstreet, who was the  
17 Director of the Biological and Economical Analysis  
18 Division, and before that, the Deputy in the  
19 Biopesticides and Pollution Prevention Division, and  
20 before that, Field and External Affairs, when that  
21 was in OPP, so she's had positions in multiple  
22 divisions within OPP, she is now the permanent  
23 Director for the Pesticide Re-evaluation Division  
24 where a lot of our registration review work gets  
25 completed.

1           And then Neil Anderson has stepped into  
2     acting role while we do a search for a new director  
3     for the Biological and Economic Analysis Division.

4           In terms of folks also on this list,  
5     Monique Perron, who you will hear later from today  
6     to talk about systematic review and NAMs, which was  
7     a topic that was of interest to PPDC members and  
8     what EPA is doing there; Catherine Aubee, who is a  
9     senior advisor, who has been implementing many of  
10    the programs and the Endocrine Disruptor Screening  
11    Program, that came over in the reorg from a number  
12    of years ago into OPP, and we've got a slide on some  
13    of recent activities there; Dana Vogel, Health  
14    Effects Division Director; Jan Matuszko, Director of  
15    Environmental Fate and Effects Division, where a lot  
16    of our ESA work is coming out, we have a section on  
17    that later on in the agenda; Anita Pease, Director  
18    of Antimicrobials Division; Madison Le, Director of  
19    Biopesticides and Pollution Prevention Division; and  
20    Billy Smith, the Registration Division Director.

21           So with that, I will go to the next slide  
22    on budget. The PRIA 5 passed a couple years ago  
23    now, and we've been doing a lot of implementation.  
24    In fact, there's a session on that as well and  
25    related to the farmworker grants that were in PRIA

1 5. So we're pretty proud about that work.

2 The new PRIA 5 set the minimum  
3 appropriation levels for OPP at \$166 million. We  
4 have not reached that level. We did have an  
5 increase in our budget for '23, which was \$138  
6 million. The '24 budget, which is, you know, partly  
7 why we've had to make cuts, was \$6 million less than  
8 the '23 budget. The President's '25 budget calls  
9 for \$175 million dollars for OPP and appropriations.  
10 And as folks know, we get money from fees, we get  
11 the PRIA fees and the FIFRA fees, and that  
12 represents about a third of our total budget with  
13 the appropriations representing the other  
14 two-thirds.

15 So with that slide on -- you know, in  
16 terms of how we have been appropriated over the  
17 years. The red line describes the PRIA minimum  
18 appropriations trigger level set by the PRIA  
19 Coalition and as ratified through Congress. As you  
20 can see over the many years, there's been a  
21 shortfall from that appropriations number, and now  
22 with the increase in that appropriations number from  
23 the \$120 million up to the \$166 million,  
24 the gap is a little wider in terms of the minimum  
25 appropriations trigger for PRIA 5.

1           Congress provides a waiver for themselves  
2           from that trigger, which is why there's a  
3           decent-sized gap between the trigger number and what  
4           OPP receives. And you can see the dip from '23,  
5           where there was the bump-up finally, getting closer  
6           to the PRIA minimum, but then in '24, a reduction  
7           from about \$6 million.

8           We've also experienced a bit of a  
9           shortfall from the PRIA fees in that there have been  
10          recently less submissions. I have slides on some  
11          performance metrics around how we're doing to meet  
12          our deadlines and -- so there's about a \$6 million  
13          difference from what we had anticipated for  
14          receiving in '24 from what we've actually collected.  
15          So it's actually close to a \$12 million shortfall  
16          for OPP that we're trying to absorb for '24.

17          So folks have seen this chart before, but  
18          just to give a sense of the FTE numbers for OPP, we  
19          have been hovering around the 570 mark. '23, we  
20          ended with 552 for 2024. We are going to hold --  
21          and the next chart will show in order to hold the  
22          FTE constant, the significant cut in contract  
23          spending and travel and other items and pushing some  
24          digital transformation work off and a little bit  
25          further out to spread that out.

1           So if we were to hold contract spending  
2           constant with the cuts from absorbing the '24  
3           budget, and if we assumed that '25 was the same  
4           budget, OPP FTE would need to only be able to be  
5           supported at about 470 level, which is probably the  
6           lowest OPP's been over the many years. You can see,  
7           you know, our highest being out in the 2004, 2005  
8           range, where we were close to 900 folks. That was  
9           pre-reorg where we had an additional 95 folks that  
10          were in various parts of OPP, including the IT and  
11          the communication's folks.

12                 This chart has been normalized to have the  
13          95 deducted from the program level funding. So it's  
14          normalized to show if the 95 folks were not in  
15          office in OPP in 2005, this is what this chart would  
16          look like so that it's normalized. But, generally,  
17          OPP has recently been hovering around the 570 mark.

18                 This chart shows in order to maintain the  
19          FTE levels within OPP, which is our plan, to  
20          maintain at about the 565 level for 2024, it  
21          requires about a \$34 million cut to contracts,  
22          taking that \$6 million cut, the \$6 million reduction  
23          for PRIA, and then also supporting the same level of  
24          FTE rather than reducing FTE, in part because we've  
25          hired -- you know, our greatest resource in OPP is

1 the scientists that we have here that do that  
2 cutting-edge science. We want to train folks; we  
3 want to keep them.

4 And so, you know, since we've hired them,  
5 we want to maintain having those folks in the office  
6 because it takes longer to retrain folks on how to  
7 do risk assessments and human health risk  
8 assessments and eco risk assessments and ESA and all  
9 of the on-the-job training that you get in OPP. So  
10 in order to preserve our greatest resource, which is  
11 the people in OPP, we're looking at \$34 million cut  
12 to contracts.

13 Those contracts are used to support the  
14 registration and reregistration work. So a lot of  
15 the front-end contract work is, you know, looking at  
16 studies, categorizing studies, really helping the  
17 OPP staff have a package that's ready for them to  
18 review rather than sort of assembling that package  
19 and, you know, making calls on different studies and  
20 having the staff really do that federal work, which  
21 is -- only federal employees can do, which is doing  
22 that risk assessment. So the contracts really are  
23 integral to making that process more efficient and  
24 so there will be a delay in registration decisions  
25 as a result of some of the contract cuts.

1           Some of the immediate impacts to the  
2 budget, going virtual PPDC. So here we are, you  
3 know, sorry again, apologies. I do prefer the  
4 in-person meeting with this group and getting to see  
5 everyone, but we were not able to support the travel  
6 that we provide to the members. We had to make some  
7 tough calls.

8           Also, you know, we've had a number of  
9 scientific advisory panels and so those are going  
10 virtual in the future -- foreseeable future.

11           We've cutback on crop tours. I've got a  
12 slide on the valuable nature of having those tours,  
13 having staff go out to meet with growers and  
14 understand their needs and how their pest pressures  
15 are impacting them and the products that they use.  
16 So we've had to scale that back.

17           As I mentioned some of IT development,  
18 sort of slowing down some of the timing on things  
19 that we want to get done. Portal development is one  
20 of those things. We're still progressing with that,  
21 but some of our timelines have been pushed back and  
22 really trying to replace the infrastructure for  
23 where we have about a ten-year technical debt that  
24 we have to bring up to speed so we can do some of  
25 the fun things that we want to do, like electronic



1 labeling and labels that a smart tractor can read or  
2 really providing that information in the field to  
3 somebody who needs to know geographically where  
4 they're located and what products are available and  
5 how they might better comply with their Endangered  
6 Species Act obligations through the label language.  
7 So some important IT tools that we want to make sure  
8 that we're continuing to move forward.

9           We're going to basically hold constant.  
10 There probably will be a hiring freeze at OPP.  
11 We'll try to backfill, but it will be really at a  
12 limited basis to keep at the levels that we can  
13 support. As I mentioned, the significant cuts to  
14 contracts, delays to registration actions and then  
15 delays to the PRIA and non-PRIA actions.

16           I do have some metrics later on where  
17 we've actually, through process improvements and  
18 some of the IT work, we've actually been completing  
19 more actions. But you'll also see that the level of  
20 actions and the backlog still exists and the lateness  
21 of the actions is still pretty high.

22           So these are our priorities. They are  
23 consistent the last couple of years. My slide deck  
24 sort of follows the various priorities here. So  
25 we'll start with PRIA 5 implementation. We'll talk

1 about registration and registration review. We'll  
2 talk about Endangered Species Act deficiencies and  
3 meeting our obligations. Again, there's a whole  
4 separate session on that. I'll then talk about some  
5 of the science and other policies, like  
6 environmental justice, climate change.

7 Monique will help with state-of-the-art  
8 science topics, where we'll talk about the  
9 systematic review and new approach methods. I'll  
10 talk a little bit about some of the rulemaking  
11 guidance and then I'll end with our digital  
12 transformation work and show some of the new  
13 dashboards that exist internally for OPP to  
14 understand where our work is in flight and to be  
15 able to visually represent that and then make  
16 decisions about how to engage lean process  
17 improvements to review bottlenecks, which there's  
18 been a number of examples that have occurred  
19 recently.

20 Just to give you a sense of the overall  
21 submissions and highlights for this year, incomplete  
22 obviously for Fiscal Year 24, so far we've received  
23 about 7,000 submissions via our portal. We have  
24 completed about 1,000 PRIA actions -- sorry, we've  
25 received 1,000 PRIA actions. We've only completed

1 700. Only. I should say, that's a pretty big  
2 number. But as you can see, at least up until now  
3 for FY '24, we've received more than we'd be able to  
4 complete.

5 For the non-PRIA actions, notification  
6 fast track amendments, we've received about 1,800,  
7 and for the first time, we've actually completed  
8 more than we've received, and that is a testament to  
9 the work in Billy's group and the Registration  
10 Division, who gets the substantial workload on that.  
11 They've done a number of process improvements and  
12 focused tiger teams to reduce the non-PRIA backlog.  
13 That was a request that was in PRIA 5 for us to  
14 focus efforts there. And so we've got some positive  
15 success to share on that score. So you'll see some  
16 charts at the end of this presentation when I go  
17 through the digital transformation slides.

18 In terms of PRIA 5 implementation and our  
19 success, again, we have a separate session on this  
20 later on, so I won't spend too much time on this.  
21 But we're pretty proud about the fact that we issued  
22 our PRIA annual report. It is on the web. You can  
23 find it on our PRIA 5 implementation website, which  
24 once these slides are provided -- and they have been  
25 provided to the PPDC members -- we'll send out the

1 final delivered and then we'll post these on the  
2 web. You'll be able to click into our PRIA 5  
3 website that is tracking all of the deliverables,  
4 for which there were many in PRIA 5.

5 We're working on the training set-asides  
6 to train OPP staff using an existing contract and  
7 then changing that over to a grant announcement to  
8 develop training curriculum and curricula for OPP.

9 There's also a requirement for OPP to do a  
10 workforce and process assessment using a contractor.  
11 We're using an existing Office of -- EPA Office Of  
12 Mission Support contract for a contractor that  
13 specializes in process improvement, so at some  
14 point, once we're able to put money on that  
15 contract, we will fund it to have that person and  
16 contractor do an assessment of OPP's processes to  
17 determine if there are some process efficiencies  
18 that we can gain and then implement those process  
19 efficiencies once the report is delivered and the  
20 pay increase or the fee increase associated --  
21 there's two different options within PRIA 5 for OPP  
22 to -- ability to seek a 5 percent increase in fees.

23 And the trigger for that is that we've  
24 implemented elements of this process improvement.  
25 The first trigger was reached when we were able to

1 move the Registration Division through the digital  
2 transformation process and have them be in the  
3 system for which we completed fairly recently.

4 We are looking at non-PRIA backlog.  
5 There's lots of great work that you'll hear about  
6 later on the farmworker and the health clinician  
7 cooperative agreements and providing technical  
8 assistance to those grantees about how to seek  
9 grants from EPA, and that's in the works.

10 Bilingual labeling, of course, all of the  
11 outreach that's been done there; frequently asked  
12 questions which have been updated and will be placed  
13 on the web; the DER process implementation, we've  
14 got some activities associated with that; IT  
15 modernizations; and, of course, website that we  
16 launched.

17 Since November of the last PPDC meeting,  
18 we've made a lot of progress in a number of areas  
19 for PRIA 5 implementation, including the significant  
20 amount of outreach to multiple stakeholders on  
21 bilingual labeling; again, the backlog for reducing  
22 non-PRIA actions and the metrics there; and then the  
23 IT system we couldn't be happier with the level of  
24 agile development, sprints, improvements to the  
25 system that are occurring, and there is plenty to do

1 to really improve our IT systems.

2 We also established the Vector Expedited  
3 Review Voucher Program, so we're examining whether  
4 and to what extent new submissions that provide for  
5 the control and spread of vector-borne diseases  
6 might be able to obtain and sell a voucher. We've  
7 developed the process, as I mentioned, for sharing  
8 EPA data evaluation records with applicants at the  
9 time of the regulatory decision, rather than having  
10 to wait, which had been the practice in the past.

11 Supporting farmworker training, as I  
12 mentioned, the Pesticide Safety Education Program  
13 cooperative agreement, and announcing of funding  
14 opportunity for partnership grants, which we'll talk  
15 a little bit more in the later session. And then we  
16 requested, as outlined in PRIA 5, stakeholder input  
17 on program design for health care provider training  
18 under the cooperative agreements.

19 So now into the -- really the one area  
20 that folks were interested in in terms of the  
21 registration decisions, registration actions, before  
22 we move into registration review for which there's a  
23 number of chemicals that folks were interested in.

24 If you've been following the Dicamba  
25 litigation, you're aware that in February, the U.S.

1 District Court for Arizona vacated our 2020 decision  
2 that allowed over-the-top applications of Dicamba,  
3 particularly on soy and cotton. We issued, after  
4 that decision, an existing stocks order, which  
5 allowed product that was already in the possession  
6 of growers that were in the channels of trade that  
7 were outside the control of the pesticide companies  
8 to continue to be used for the '24 season.

9 It allowed for limited sale and  
10 distribution that was already in the possession of  
11 the growers and those existing stock provisions  
12 followed the labels which provided for the cutoff  
13 dates for which Dicamba would be allowed to be used  
14 up until those dates that are on the label or that  
15 were modified by individual states as part of their  
16 programs to allow the application of Dicamba  
17 over-the-top on soy and cotton based on previously  
18 approved labels only for 2024 and only to the extent  
19 that those labels allowed the over-the-top  
20 application for the dates specified on the label or  
21 as modified by the states.

22 We recently, I think yesterday, announced  
23 an application that we received from BASF. We have  
24 previously announced the application we had received  
25 from Bayer. The proposed products include use of

1 Dicamba on Dicamba-tolerant soybeans and cotton, and  
2 we provided a 30-day public comment for both of  
3 those products and we will be considering that  
4 public comment.

5           There is also -- will be other activities  
6 in terms of providing additional information as we  
7 head towards an understanding of the desire for soy  
8 and cotton growers to have those products in the  
9 2025 growing season. We've made no decisions on  
10 that yet and we are working with registrants on  
11 their submissions and the process continues.

12           There's a lot of steps along the way,  
13 including an Endangered Species Act review and  
14 including, you know, public notice of these things  
15 and doing an entirely new risk assessment. We are  
16 looking at, you know, how we can consider the need  
17 for the 2025 growing season with all of the  
18 processes that need to occur. It's a pretty short  
19 runway. So we'll provide updates as we get closer  
20 to the '25 growing season.

21           Okay. Pesticide registration review, so  
22 we're going pretty well on meeting our deadline.  
23 There's about 789 cases that are due by 2026. We've  
24 done about 91 percent of the draft risk assessments;  
25 71 remain, and we've done about 80 percent of the



1 interim decisions and about 173 cases remain.

2 At various steps along the way, as folks  
3 that are familiar with this process, we provide  
4 public notice about the preliminary work plan, we  
5 provide all of the science that we've done as part  
6 of draft risk assessment and then we, yet again for  
7 public comment, put out the proposed interim  
8 decisions so folks can comment on the mitigations  
9 for the various chemicals that are going through  
10 these steps.

11 It represents a lot of work from a lot of  
12 incredible staff. You know, getting a draft risk  
13 assessment done and out the door and all the review  
14 and the science that it takes and then putting that  
15 up for public commitment is no easy lift, but OPP  
16 has been pretty incredible in getting a lot of the  
17 draft risk assessments done to meet the 2026  
18 deadline.

19 Some information on specific cases that  
20 folks were interested in hearing about,  
21 chlorpyrifos, in December of 2023, the Court of  
22 Appeals for the 8th Circuit vacated EPA's August  
23 2021 rule which revoked all tolerances, which was in  
24 response to the 9th Circuit case, which told EPA to  
25 make a decision within the time frame delivered by

1 the Court. At the time, in 2021, we indicated that  
2 we could not make a safety finding for all of the  
3 uses that were on the labels, and so we issued the  
4 final order in 2021. However, the 8th Circuit  
5 struck down that decision and, at this time, all  
6 chlorpyrifos tolerances have been reinstated.

7 We also have been taking steps working  
8 with the registrants to conform the labels to the  
9 Proposed Interim Decision that had previously which  
10 indicated that although all uses of chlorpyrifos  
11 would not pass the human health risk assessment,  
12 there were a subset of uses that would pass, about  
13 11, and so we've been working with the registrants  
14 to conform the current labels with the 11 food uses  
15 that we can make a safety finding under the 2020  
16 Proposed Interim Decision.

17 So in June, you will see coming out as  
18 part of an OPP update, some existing stock's  
19 provisions and some reduction and some cancellations  
20 of products for certain products that are conforming  
21 to the 11 uses in certain geographic areas and we  
22 will continue to update the frequently asked  
23 questions around chlorpyrifos and do OPP updates  
24 where we are amending labels, again, to reduce the  
25 amount of chlorpyrifos to meet the 2020 Proposed

1 Interim Decision.

2 In addition, the National Marine Fisheries  
3 Services Biological Opinion was issued and so we're  
4 heading towards meeting the mitigation measures that  
5 were proposed in the Biological Opinion in the 2024  
6 season probably by the end of the summer. So that's  
7 the chlorpyrifos update.

8 Acephate, which is another  
9 organophosphate, in April, we released the proposed  
10 interim decision for that product to cancel all but  
11 one use of that pesticide. We retained the tree  
12 injection uses because they did not contribute to  
13 the drinking water concerns and water exposure that  
14 we were finding with Acephate and there were no  
15 risks to workers with those proposed label changes  
16 for tree injection.

17 The revised Human Health Draft Risk  
18 Assessment and Drinking Water Assessment were  
19 released in August of '23, and the PID was released  
20 in April and is available for public comment in July  
21 of 2024. Having worked with a number of growers on  
22 this product, we understand it's pretty important  
23 for cotton, so we're going to be looking at taking  
24 comment and considering all the comments that are  
25 associated with Acephate to make sure that any new

1 labels or, you know, conforming to the tree  
2 injection are consistent with Human Health Draft  
3 Risk Assessment for Acephate. So more to come on  
4 that once we receive public comment.

5 So the other organophosphates, which I  
6 know are of interest for many stakeholders, there's  
7 18 organophosphates in Registration Review. Their  
8 decisions are generally scheduled to be completed by  
9 2026, which is the deadline.

10 We have some upcoming actions. As I  
11 mentioned, you recently saw Acephate, but in June  
12 and very soon, you'll see Dicrotophos' Proposed  
13 Interim Decision for the mitigations proposed there;  
14 Dimelthoate's Proposed Interim Decision coming in  
15 June; Malathion Proposed Interim Decision for July,  
16 and then TCVP Interim Decision for June of '24. So  
17 stay tuned for a number of organophosphate chemical  
18 updates and, obviously, I will continue with that  
19 class of chemicals, and when we do the next FR  
20 notice for the new sort of quarter for all the  
21 Proposed Interim Decisions and Interim Decisions  
22 that OPP is conducting, we will update the schedule  
23 that's on the web that folks can look at to see when  
24 the expected delivery date is for the various Draft  
25 Risk Assessments, Proposed Interim Decisions, and

1 IDs in the coming couple of years..

2 DCPA was another product going through  
3 registration review, and in April, based on the  
4 risks that we had been finding with this chemical,  
5 we warned folks in issuing the Draft Risk Assessment  
6 that was associated with DCPA and announced sort of  
7 steps that we were taking, working with AMVAC, who's  
8 the company -- the sole manufacturer of DCPA to  
9 reduce the risks associated with this chemical and  
10 we're working with the registrant and we're also  
11 looking at pursuing other action, as appropriate, to  
12 reduce exposures to this chemical.

13 You know, we took the rare step, given  
14 some of the risks that we saw to pregnant  
15 individuals, including developing babies exposed to  
16 DCPA, as part of an OPP update, to warn the  
17 farmworker community about the concerns that we were  
18 finding. This is sort of an example of where, you  
19 know, EPA has been doing endocrine work. So some of  
20 the, you know, impacts are related to thyroid issues  
21 associated with DCPA.

22 So looking at those studies, we were  
23 compelled to provide an update and information about  
24 what we were finding and we'll continue, again, to  
25 pursue further action to quickly remedy some of the

1 risks that we're finding for this chemical.

2 Rodenticides Proposed Interim Decision was  
3 published in November of '22 and then the draft  
4 Biological Evaluation was published in November of  
5 '23. We received 20,000 comments on the PIDs. A  
6 lot of themes contained below in comments, basically  
7 concerns of this class of chemicals on nontarget  
8 wildlife species and exposures, misuse issues and  
9 identification of potential misuses of rodenticides,  
10 also the benefits. Obviously, you know, rodents are  
11 a vectoring pest. We want to make sure we're  
12 keeping those pests and the diseases they transmit  
13 from our food supply.

14 So they represent a class of chemicals  
15 that are of real importance to the grower community,  
16 both on the ag side and on the structural side,  
17 obviously. So there are certainly high benefits for  
18 the rodenticides. And then also some comments on  
19 the mitigations that we put this place, in  
20 particular, the feasibility of carcass searches and  
21 concerns related to restricted use pesticide  
22 designations and PPE.

23 So lots of comments that we are going to  
24 be considering and we are going to first complete  
25 the BE part of this. This is one of those areas

1 where our Endangered Species Act review and our  
2 Registration Review decisions get to line up a  
3 little bit, which is great, which is how we want the  
4 process to be in the future. And so we're going to  
5 issue the final BE in November, and then after  
6 issuing the final BE, the amended PID will be  
7 released around 2025.

8 We want to make sure, you know, we're  
9 consulting with the services as well and providing  
10 sort of an update for mitigations that are aligned  
11 both with the FIFRA Eco Assessment and with the ESA  
12 opinions that will come back from the services for  
13 the rodenticides. So some work yet to be done on  
14 rodenticides, but we're progressing and doing a lot  
15 of work and considering all the comments that came  
16 in.

17 Atrazine, an example of where -- if there  
18 are novel issues of science that require additional,  
19 I would say, information and feedback from external  
20 scientists, we will convene a Scientific Advisory  
21 Panel. We did that in the case of Atrazine, related  
22 to agency's look at what's called the CE-LOC. So  
23 the SAP opined on the studies that we used to  
24 develop the CE-LOC and issues related to maps or  
25 actually -- mostly the SAP was related to the

1 science part. And they released their document in  
2 November.

3 We responded to the SAP recommendations in  
4 March, and as a result, as part of the review and  
5 taking into account the Scientific Advisory Panel's  
6 recommendations, we're going to release or revise  
7 CE-LOC with updated mitigation maps, along with our  
8 next steps and a timeline related to proposed  
9 mitigations to ensure that we're protecting the  
10 aquatic plant communities. So we're hoping to do  
11 that in '24. And then revising by the end of 2024,  
12 the mitigations, the new CE-LOC watershed regression  
13 and pesticide modeling and then some --  
14 incorporating some new available Atrazine monitoring  
15 data and then looking at public comments on the  
16 mitigations. So that's the Atrazine update.

17 Paraquat, so the last PPDC, I provided --  
18 and it's in the transcript -- I would say, you know,  
19 five or six slides. We took a little deeper dive on  
20 Paraquat in the last PPDC on some of the science  
21 concerns related to this chemical. We have a  
22 petition from stakeholders regarding our 2021  
23 Interim Decision on Paraquat. We've agreed to hold  
24 that case in abeyance while we continued to look at  
25 new data that has been provided in terms of the



1 science. We released an initial draft of our  
2 reconsiderations in February of '24. We opened,  
3 again, the docket in April, closing in April.

4 Then we're looking at issuing a final  
5 document describing our next steps and timelines by  
6 January of 2025 based on our agreement with the  
7 petitioners. And that document will consider  
8 additional information, as I mentioned, and then  
9 consideration of public comments that were received  
10 on the draft document. Again, one of the many  
11 chemicals we're committed to transparency and  
12 continuing to monitor the best available science to  
13 inform adverse health outcomes, including any  
14 potential links to Parkinson's disease, which we  
15 have not seen thus far, but we are looking at new  
16 studies and we'll provide an update in the coming  
17 months.

18 Glyphosate, as part of registration  
19 review, the ID was published in 2020. The 9th  
20 Circuit vacated this ID for the human health  
21 portion, asking us to provide additional information  
22 on how we arrived at our decisions there. The Court  
23 granted EPA's request for voluntary remand on the  
24 ecological portion, but they indicated we had to  
25 complete that by 2022. Obviously, that was a pretty

1 tight deadline. So we withdrew the ID because we  
2 were unable to meet the 2022 deadline. But we are  
3 continuing the Glyphosate registration review,  
4 looking at the scientific findings regarding  
5 Glyphosate, including, you know, looking at our  
6 decision as to whether Glyphosate is not likely to  
7 be carcinogenic and we continue to look at that  
8 science.

9           And that conclusion, up and to this point,  
10 has remained the same, but we are looking to better  
11 describe that in the future as part of proposed  
12 final decision, which will revisit and better  
13 explain the carcinogenic potential of Glyphosate,  
14 revisit the risk analysis related to the in-field  
15 effects on the monarch butterfly and other  
16 ecological risks and then complete the ESA  
17 consultation and respond to the petition related to  
18 Glyphosate. So Glyphosate continues work by the  
19 team with some upcoming deadlines and deliverables.

20           So ESA, an area we're really proud about  
21 and, you know, incorporating Endangered Species Act  
22 science reviews into pesticides kind of for the  
23 first time in the many years that both of those  
24 statutes have existed in 40-year span. We have an  
25 agenda item on this to take a deeper dive as well.

1 But, you know, generally, at the high level, we are  
2 continuing to make progress on the various strategy  
3 documents, including as we're working on the  
4 strategy documents, increasing the efficiencies for  
5 which we're able to provide biological evaluations  
6 for individual pesticides and the number of ones  
7 that you've recently seen and some new ones that are  
8 coming out in the future.

9 Obviously, committed to transparency and  
10 obviously committed to stakeholder input. Just  
11 yesterday, we met with the States on mitigation  
12 approaches. SPIREG was in town and there was a  
13 session covering that as well. We're looking to  
14 refine the maps to make sure that those species are  
15 protected and they are protected where their  
16 habitats and their ranges are important, and  
17 ensuring that growers are undertaking mitigations  
18 where those are needed, but also understanding and  
19 narrowing the geographic restrictions really to  
20 those areas where protections are needed for  
21 endangered species, working with multiple  
22 stakeholders who are helping us look at how to  
23 refine those -- what are called PULAs -- for where  
24 pesticide use limitation areas are needed for  
25 pesticides.

1           And I'll move on and say there's, again,  
2     quite a full dance card, much like for registration  
3     review, but quite a full dance card for ESA  
4     activities, you know, recently putting out the draft  
5     herbicide strategy and then looking at doing the  
6     Hawaii workshop, the mitigation workshops, outreach  
7     on refining PULAs, and then what we hope to do in  
8     mid-2024 is finalize the herbicide strategy, begin  
9     to inform our registration review decisions as we  
10    finalize that decision, releasing a draft  
11    insecticide strategy, releasing information on an  
12    online mitigation menu, which there's a webinar up  
13    and coming, which I've got some information on how  
14    to sign up for that.

15           And then, beyond that, obviously,  
16    continuing to work on strategies for insecticides  
17    and fungicides and, you know, beyond also getting a  
18    lot of biological evaluations done and finalizing  
19    the draft Hawaii strategy. So lots of activity  
20    under ESA.

21           As I mentioned, there's an upcoming ESA  
22    Mitigation Menu Webinar. We're going to hold a  
23    public webinar on June 18th from 1:00 to 2:00 p.m.,  
24    to provide an overview of Mitigation Menu website  
25    that will describe mitigations and options for

1 reducing pesticide exposure to nontarget species and  
2 a walk-through of what the draft website will look  
3 like. So there's information for how to sign up for  
4 that in the recent OPP update and there will be a  
5 further discussion on that in the next session on  
6 the agenda for PPDC.

7 So in addition to this FACA group, which  
8 we love, there are other FACA groups that intersect  
9 with the work that the Office of Pesticide Programs  
10 is doing. One of the other FACA workgroups is the  
11 National Environmental Justice Advisory Council or  
12 the NEJAC, and they provided recommendations on  
13 farmworkers and pesticides. Again, there's some  
14 additional information that we're going to talk  
15 about this on the agenda as part of farmworker  
16 workgroup.

17 But the NEJAC provided, at our request,  
18 information and recommendations for how we could do  
19 certain activities under Spanish labeling, develop  
20 new methods to provide access to information on  
21 bilingual pesticides for farmworkers, one of the  
22 requirements in PRIA 5 that we're seeking to  
23 implement, and looking for measures, understanding  
24 exposure, and then training for inspectors who  
25 conduct worker protection inspections.

1           So those were the recommendations we  
2           received. These are the specific ones that they  
3           provided in April, providing information to EPA on  
4           the various topics, bilingual recommendations,  
5           worker protection recommendations. So the  
6           workgroup within OPP -- there are two workgroups  
7           that have been formed to address the recommendations  
8           associated with the charge questions. And then the  
9           fourth one, being a recommendation both to OECA and  
10          OPP related to enforcement, we've been binning those  
11          recommendations into various categories, things  
12          we're sort of already doing, things we think we can  
13          implement, and things that maybe we can't implement,  
14          you know, various categories and then providing  
15          information back to the NEJAC as requested at their  
16          next meeting and then subsequent meetings.

17          The other workgroup that's not mentioned  
18          here, the other FACA is called the CHPAC, Children's  
19          Health Advisory Committee, and there's a number of  
20          cross-sections with providing information on our  
21          risk assessments and feedback that we've had from  
22          the CHPAC that we're tracking as well.

23          The other workgroup is the RRAC, which is  
24          the Rural Ranch Advisory Committee, which is managed  
25          out of Rod Snyder's shop. So we've been having a

1 number of engagements with that group and providing  
2 briefings for them as well. So lots of FACA  
3 activity in addition to PPDC, and we wanted to  
4 surface that as requested by the PPDC members  
5 related to the recent NEJAC work. And, again, we  
6 have a specific session on this.

7 Continuing with some of the emerging  
8 science issues and science priorities for climate  
9 change continues to be one of our priorities within  
10 OPP. Understanding the climate adaptation part of  
11 climate change, so really focused on ensuring that  
12 we are attune with any impacts on climate change on  
13 our risk assessments.

14 Year one was developing plans for  
15 approaching sort of priority actions. Year two is  
16 developing case studies to identify and refine these  
17 priority actions, and then year three will be  
18 focused on broader implementation and refinements to  
19 processes, criteria, and data surety related to  
20 making sure that our risk assessments understand and  
21 include and assess how climate change could be  
22 impacting pesticide applications, including, you  
23 know, you can see connections related to, you know,  
24 potential increased vectoring of habitat ranges or  
25 increased weed species pressures because of climate

1 drought, wet areas, you know, the impact on how we  
2 need to change our risk assessments to understand  
3 and adapt to the climate changing.

#### 4 Endocrine Disruptor Screening Program

5 update, again, lots of activity and lots of proud  
6 moments for OPP, similar to Endangered Species Act  
7 work, making sure that science around pesticide risk  
8 assessments is sound related to endocrine disrupting  
9 potential chemicals. So we published the  
10 availability of new approach methods in EDSP in  
11 January of '23. We published a near-term strategies  
12 document in October, for which we received about  
13 2,000 comments. We're working on responding to the  
14 NAMS and response to comments.

15 And as part of the strategy where we've  
16 been, various chemicals, needing additional data,  
17 we'll be issuing DCIs coming out this summer.  
18 That's one of the technological fixes we need to do  
19 in the digital transformation that's in flight. We  
20 need to make sure that we can issue and track that  
21 and it's no short order. Multiple registrants with  
22 multiple chemicals tracking multiple studies isn't  
23 something that you can easily do in Excel. So our  
24 systems' upgrades, where we had kind of lost that  
25 capacity to really issue DCIs because the aging



1 infrastructure, we're actually doing some sprints  
2 and deliverables to be able to, this summer, begin  
3 issuing endocrine disruptor DCIs where they're  
4 needed, where there's data needed, and then the  
5 responses would be due 90 days after DCI receipt for  
6 the registrants.

7 I'm now going to turn it over to Monique  
8 Perron, who is OPP's Science Advisor, and she's  
9 going to talk a little bit about our efforts related  
10 to systematic review and new approach methods, and  
11 then I'll pick up the mic and get us back -- we're  
12 doing pretty good on time, so we're rounding out the  
13 end here for the presentation. But with that, I'll  
14 pass it over to Monique.

15 MONIQUE PERRON: Thank you, Ed. Yeah, I'm  
16 going to jump in here for a few slides and give Ed a  
17 break. If whoever is in control of the slides could  
18 just advance them forward for me. As I move along,  
19 I'll let you know when.

20 So good afternoon or good morning, I  
21 guess, to those of you on the West Coast or in  
22 between. As Ed mentioned, I'm Monique Perron, I'm  
23 the Science Advisor for OPP. I just wanted to give  
24 a little bit of information first on our systematic  
25 review processes.

1           So when we're talking about systematic  
2 review, we're talking about approaches to utilize  
3 standard methods for collecting, evaluating, and  
4 integrating scientific data to support our  
5 decisions. So in OPP, we take a fit-for-purpose  
6 approach, so that we are working towards answering a  
7 particular question, so that's why the problem  
8 formulation stage is important for us. You know,  
9 whether we're trying to answer a very particular  
10 question like we did for Glyphosate on carcinogenic  
11 potential versus are we trying to look for any and  
12 all hazard data that could inform a risk assessment  
13 are two very different questions.

14           So inherent in all of that is the fact  
15 that one size does not fit all. So not all of our  
16 systematic reviews technically look exactly the  
17 same, but the underlying principles of collecting  
18 and evaluating those data in a transparent manner is  
19 still -- you know, holds true. And those systematic  
20 review approaches are used for our open literature  
21 reviews that are routinely performed. These include  
22 for supporting our incident and epidemiology  
23 assessments, as well as our human health and  
24 ecological risk assessments for registration review.

25           And so one question -- if you can move to

1 the next slide -- is why do we focus our systematic  
2 review evaluations during registration review? You  
3 know, at that point, we're looking to potentially  
4 fill or inform some of the data gaps or  
5 uncertainties, so we get a more holistic view while  
6 we're looking at the whole package that's available  
7 for an active ingredient. It also allows time for  
8 space to be conducted and published. So for a new  
9 active ingredient often, you know, they're very  
10 novel or low profile, so they just don't have a  
11 large literature presence. So it gives some time  
12 for the chemicals who have been used and studied by  
13 additional scientists.

14 So it really is our best opportunity to  
15 really do a large search of the available  
16 information and incorporate it all at once, along  
17 with the updates that we're making regarding also  
18 exposures and models and other things that are  
19 utilized in our risk assessments. However, this  
20 doesn't mean that stakeholders can't bring published  
21 data to us to our attention at any time that they  
22 think would be impactful.

23 We often get studies sent to us, you know,  
24 whether there's no actions going on and new uses  
25 happening. So outside of registration review, we're

1 still looking at information that comes to our  
2 attention. So I don't want to give the impression  
3 that we don't look at stuff -- we only look at it at  
4 registration review. Registration review is when we  
5 have a designated time that we will look at all of  
6 the available information that's out there.

7 And if you could move to the next slide.

8 The other topic that I'm going to briefly  
9 talk about is new approach methods. For EPA, we use  
10 a pretty broad definition when we're talking about  
11 NAMs. And I've written in the really long kind of  
12 word version of it, but basically we're referring to  
13 what a lot of people used to call alternatives. So  
14 it can be in vitro models, like in silico, in  
15 chemico, but also a combination of those. So  
16 there's things called defined approaches, as well as  
17 integrated approaches to testing and assessment or  
18 IATAs.

19 So all of these, we use a very large  
20 umbrella term when talking about NAMs in the agency  
21 and that's pretty consistent with other federal  
22 agencies that are part of ICCVAM, which is the  
23 Interagency Coordinating Committee on Alternative  
24 Methods -- for the Validation of Alternative  
25 Methods, excuse me.

1           And I think actually, just real quick, to  
2 mention the use of "new" in this term can be a bit  
3 misleading. I'm sure many of you are very familiar  
4 with the use of in vitro assays for evaluating  
5 genotoxicity. We've been using different  
6 alternative methods in nonguideline studies to  
7 inform mechanistic and mode of action for decades.  
8 So sometimes that term -- that part of the term gets  
9 a little bit misleading, but this isn't actually a  
10 new thing. And as I mentioned, a lot of times it  
11 used to be considered -- called the term  
12 "alternative." So I'm waiting for the next term  
13 that we'll be using to refer to these types of  
14 assays and different approaches.

15           But EPA, at our program, as well as other  
16 parts of EPA, are working with multiple national and  
17 international organizations and stakeholders to  
18 develop and implement NAM approaches. Several of  
19 these are highlighted on OPP webpage that we update  
20 annually, and that's in middle of the slide. It's  
21 not all-inclusive; it's not a comprehensive,  
22 everything that we're doing. We just have our hands  
23 in lots of different pots, but it does provide a  
24 good, I think, summary of the projects that are  
25 further along and where we have actually moved

1 forward with either a guidance document to try to  
2 reduce our reliance on animal testing or other  
3 examples of where we were able to use new approach  
4 methods to inform our risk assessments.

5 And, lastly, I just wanted to mention the  
6 EPA NAM workplan. So a few years ago provided a  
7 directive from the EPA Administrator for the Office  
8 of Research and Development and the Office of  
9 Chemical Safety and Pollution Prevention, so OPP and  
10 OPPT, to develop a workplan in conjunction with the  
11 other programs as well, to lay out objectives and  
12 strategies to move forward with the new approach  
13 methods, and building confidence, a lot of the  
14 objectives and strategies are around building  
15 confidence, training. You know, I think it's a  
16 really good resource if you want to go here to just  
17 see the different objectives and strategies.

18 We originally put it out in 2020 and then  
19 did an update in 2021, but those objectives and  
20 strategies remain largely unchanged, but we did  
21 extend it from just mammalian to all vertebrate  
22 species.

23 And I think that might be the end of the  
24 break for Ed. I think he gets to come back in on  
25 next slide. So thank you.

1 ED MESSINA: I do get to come in. I had  
2 to find my mute button, so apologies.

3 And I get to continue to talk about some  
4 Of the other science that OPP is undertaking. So you  
5 may have heard or seen the OPP update related to the  
6 antifungal and antibacterial resistance work that  
7 we're doing with HHS and USDA to make sure that our  
8 assessments are complete, related to antifungal and  
9 antibacterial pesticides that could potentially  
10 cause resistance to humans and create the  
11 ineffectiveness for medical drugs.

12 So it's an interesting concept that brings  
13 together two important components of, I would say,  
14 you know, pest protection. You know, one is related  
15 to the ag part and the other is related to how we  
16 protect humans from fungal diseases, which that is a  
17 pretty big area. There are many folks that succumb  
18 to fungal diseases around the world. In some cases,  
19 they develop resistance in part. We're pretty  
20 familiar with the antibacterial resistance that can  
21 develop and the multiple antibiotics that are out  
22 there, depending on the type of strain you have. So  
23 it's a pretty important issue related to -- on the  
24 human side that we've been working with our federal  
25 partners on.

1           So recently, we put out a concept note  
2 last December, asking for specific charge questions  
3 to help resolve some of the uncertainties and data  
4 gaps that may exist in this area. We received about  
5 5,000 comments to that paper, and there were a  
6 number of comments that provided more specific  
7 details around this intersection.

8           So the next step for us is we're going to  
9 be issuing a framework coming out in June. The  
10 framework is going to lay out our intentions for how  
11 we will collaborate across the Federal Government  
12 related to EPA's assessment for any potential  
13 resistance related to pathogenic bacteria or fungi  
14 that could have an impact on the resistance to  
15 medical drugs. So I would say stay tuned for that  
16 framework.

17           Also, the framework will talk a little bit  
18 about some of the science that needs to be completed  
19 in this area. Is there a big intersection? How  
20 much resistance are we seeing from agricultural  
21 products? How big of an issue is it? And then,  
22 certainly, taking into account and coordinating with  
23 our other federal partners around products that are  
24 in the pipeline that have sort of that dual-use  
25 purpose and making sure that there's awareness



1 amongst the various federal partners. So stay tuned  
2 for that.

3 We also received a petition for  
4 rule-making to require the efficacy data for  
5 systemic insecticides. Petitioners asked EPA to  
6 amend FIFRA to require that all applicants of  
7 registrants of the neonicotinoid class and other  
8 systemic insecticides, particularly for seed  
9 treatments, provide performance data to the agency.  
10 We published the notice of receipt for that and  
11 sought comments. We received about 2,000 comments on  
12 that approach and the team is currently reviewing  
13 the comments, and we will proceed with updates as  
14 we're able to move forward with responding to that  
15 petition.

16 Some other good news, in terms of our  
17 commitment to sort of bilingual and Spanish  
18 translations, as part of the earlier Pesticide  
19 Program Dialogue Committee Recommendations in the  
20 spring of 2021, from the Emerging Viral Pathogens  
21 sub-workgroup, there was a recommendation that EPA  
22 translate some documents related to the emerging  
23 biopathogens work, so the emerging viral pathogens  
24 guidance and status of antimicrobial pesticides  
25 website and the disinfectants for emerging viral

1 pathogens, or EVPs List Q website and instructions.

2 So in May, recently, these translations  
3 are up on the website and live and available for the  
4 public related to Spanish translations for emerging  
5 viral pathogen documents as suggested by prior PPDC  
6 workgroups. So some examples of where EPA is  
7 committed to that and also responding to the  
8 recommendations from this workgroup.

9 International work continues, you know,  
10 the travel budget issues in our budget has caused us  
11 to have to scale back a lot of engagements, but  
12 we're continuing to work with our partners, OECD,  
13 the U.S., Mexico, and Canada Trade Agreement, our  
14 USMCA, various bilateral and multilateral meetings  
15 with other international partners. The big  
16 priorities in the international work is clearly MRL  
17 harmonization. We've been focusing on illegal  
18 online trade as well. Unmanned aerial systems is a  
19 topic that's being talked about amongst the various  
20 international problems. Biopesticides is starting  
21 to come into forefront and then harmonization of  
22 data requirements and some joint reviews that we're  
23 conducting with Canada have been topics that have  
24 recently been discussed.

25 The USMCA next meeting is scheduled to be

1 in Mexico. They are the current chairs of that  
2 group, and there's talk of having a meeting in  
3 Mexico in October related to USMCA work.

4 All right. Last couple of slides. I  
5 wanted to give you a sense kind of how the digital  
6 transformation is working. There was some interest  
7 in some of our metrics, too. So the DCI -- these  
8 are the various things that are in flight. You can  
9 see the DCI overhaul is one of those on the left.  
10 The migration for cases going for, you know, the RD  
11 cases, we've got about 70 to 80 percent of the  
12 workflow that OPP does in the new system, but  
13 there's about 30 percent that still needs to get in  
14 there.

15 And then we sort of needed to migrate some  
16 of the legacy data that was recently done and that's  
17 why we're able to kind of have a bit of a look-back  
18 for what our metrics look like, finally giving us a  
19 window into the kind of work that's in flight and  
20 how long it's taking.

21 There's a lot of infrastructure that needs  
22 to be updated. When I talk about this, I talk about  
23 our little server that's in North Carolina that's  
24 very old, that's running, you know, a pretty old  
25 version of the software and it's not just, you know,

1 going out to a computer store and buying a new  
2 computer and having all new software on it. You've  
3 got to update the software. You've got to make sure  
4 that all the connections are working to find the  
5 data, you know, for your data integrity and to  
6 migrate the date, so that ultimately the end goal  
7 being we can, you know, migrate that information  
8 into a secure cloud environment where there's, you  
9 know, multiple redundancy for backup.

10 We saw, you know, where the front-end  
11 processing system, a couple of months ago was  
12 crashing. That was the server going down. That was  
13 data not making it from one communication portal to  
14 the other. It's no redundancy. You know, there was  
15 one person who kind of knew how to do that work, and  
16 if they went out on vacation, you know, it was hard  
17 to get things moving through the system.

18 So a lot of folks on the front end are  
19 working really hard to make sure that the data is  
20 coming in and is disseminated within the  
21 organization, and we want to try to automate some of the  
22 stuff and make their lives easier. So that's part  
23 of that infrastructure in that middle column that  
24 needs to be done in order for us to have the  
25 foundation to do some of the exciting stuff that we

1 want to do.

2 Portal development, this is, again, a PRIA  
3 5 deliverable. Having more resolution for  
4 registrants that are submitting information to the  
5 agency, having greater stakeholder information for  
6 what products have gone through ESA, what products  
7 can I use on this particular crop, you know, really  
8 having better accessibility to the data for all  
9 stakeholders, including our registrants, where  
10 they're entering the portal. We provided  
11 recently some information and some data metrics as a  
12 step towards providing realtime information for  
13 where things are in flight.

14 And then lots of things for continuous  
15 improvement, we are doing this through agile  
16 development, which means that we do a session with  
17 folks and say, hey, what would you like to see in  
18 this. All of the folks that are in the system can  
19 provide feedback to say, hey, it would be great if,  
20 you know, we had a button that did this or, you  
21 know, it would be great if the system did this, and  
22 then we put it on what's called a backlog. We  
23 design a sprint. We deliver that sprint and we  
24 continue to improve the system on a monthly basis.

25 So we have about six or seven sprints

1 planned for the future that are going to increase  
2 the functionality for staff. One of the neat things  
3 that's coming out in June is the ability for the  
4 system to provide a draft letter if items are  
5 missing in a particular package or if scientific  
6 studies need work.

7           It's basically drag-and-drop and it uses  
8 information from the system to say, hey, would you  
9 like me to respond to this company, here's the  
10 address, here's the letter, I've used the language  
11 that are in templates. You know, would you like me  
12 to send this letter? Click yes to send.  
13 So really just making it easy for the staff to focus  
14 on the science work and having them not have to  
15 spend time on the administrative parts of doing  
16 their job.

17           So we've launched a couple of dashboards,  
18 provided this, you know, externally. It's contained  
19 in these slides. And it really -- this is virtually  
20 a live view of kind of where we are in our  
21 performance metrics right now. On the left-hand  
22 side, I'll just, you know, without going into a  
23 deeper dive, given the time that we have here, but  
24 what this document is saying is that for all the  
25 open PRIA actions that we have, if you look at that

1 top left in the right circle, RD is the one that's  
2 that circle to the right.

3 RD has about 2,000 actions and already  
4 those actions are late and 70 percent of those  
5 actions are late. So these are things that we have  
6 in-house, these are things that we haven't even  
7 approved yet. So this is what we call a lead  
8 measure. A lag measure would be for all the things  
9 that we have approved, how late are they?

10 So for RD, we know that for everything we  
11 have in-house, already 70 percent of those actions  
12 are past the PRIA deadline and then we know how late  
13 they are. So RD, on the right-hand side, is the  
14 middle column, you see to the left of that the  
15 yellow bar is the total number, which is close to --  
16 the late case is about 1.4 cases -- 1.4 thousand  
17 cases, 1.4k.

18 Then all of those actions are 100 percent  
19 late, which means they're basically twice the  
20 deadline. So for 1,000 actions that RD has already,  
21 those 1,000 actions are twice the lateness from the  
22 PRIA deadline. So you can see those metrics are  
23 pretty bad, but as you can see from the beginning,  
24 we're getting a lot done, even though we're getting  
25 more than we can actually get done.

1           This is more detailed information based on  
2 new products, new uses, new AIs and inerts. So you  
3 can see on the left-hand side for new products, the  
4 total number of cases we have, you know, in the  
5 2,000 range and then the median days to complete  
6 them. So for AD, which is in blue, 193 days; for  
7 BPD, which is in purple, about 282 days; and then  
8 for RD, which is in green, about 364 days, or let's  
9 just call it a year for new products, so some  
10 information we're providing as part of our PRIA  
11 quarterly updates.

12           The good news chart -- you know, first  
13 let's start with the bad news and all those late  
14 things. The good news is so you could see this --  
15 the orange line is how much work we received and the  
16 green line is how much we've gotten done. You can  
17 see that from 2020 all the way to about 2023, we  
18 received more than we got done on a consistent  
19 basis. The backlog represents that area under the  
20 orange line and above the green line. So that  
21 backlog was pretty significant and is still pretty  
22 significant as you see from the prior charts.

23           But for the first time in many, many  
24 quarters, the green line is a little bit above the  
25 orange line for work completed for PRIA actions.



1 Now, this is actually not just total actions, but  
2 it's workload. So what the system enables us to do  
3 is look at how many months something is required to  
4 do for the timeline and then how many months it  
5 actually takes. And so this is looking at not just  
6 total number of actions but workload. So you see  
7 that our workload over many, many years was well  
8 above what we could get done and got done through  
9 this chart.

10 But recently for PRIA actions, finally --  
11 and you can see the PRIA actions going down, the  
12 total number of submissions going down, and also our  
13 completions going down, but then slightly going up  
14 for the '23 third quarter.

15 And then for non-PRIA actions, again,  
16 something that the PRIA 5 statute requires -- we  
17 need to focus on these -- for the first time in any  
18 recent history, we have completed -- and these are  
19 just number of actions, not workload -- we have  
20 completed more non-PRIAs than we've received. So  
21 we're chipping away at that backlog, which still  
22 exists, but you can see that the efforts by the  
23 Registration Division to focus on non-PRIA is coming  
24 to fruition.

25 Closing out, crop tours, we focus on

1 these. These are important. Just some recent ones  
2 since we've last met, we had a Farmer Association  
3 meeting down in Florida in March of '24, we had a  
4 local rodenticide tour sponsored by National Pest  
5 Management Association in D.C. in April. There was  
6 a rodenticide tour hosted by Colorado and Wisconsin,  
7 a Department of Ag in February, and then my most  
8 recent crop tour was locally in Maryland and also  
9 went to North Carolina -- I just popped in for the  
10 Maryland part of trip -- was in May where Rod  
11 Snyder, the Ag Commissioner, attended, and we talked  
12 about the needs for potato growers within the  
13 Maryland Eastern Shore area.

14 We do have some upcoming crop tours still  
15 to come. Thank you for those who are interested in  
16 hosting OPP. We have an IR-4 tour that's coming out  
17 in Pennsylvania. I'll be attending that one. And  
18 we have lots of other cotton, landscape professional  
19 tours, especially crops where we're going to be  
20 sending staff out. We sent about 197 folks out or  
21 about 200 folks last year. It's probably going to  
22 be less and there's probably going to be less crop  
23 tours because of the travel budgets, but we still  
24 think it's important to get out there.

25 In terms of OPP updates, last year was

1 almost a record year in the number of OPP updates  
2 we've put out. Year-to-date, we've had about 50, so  
3 we're in line with sort of our average, but in the  
4 interest of transparency making sure that all  
5 stakeholders are informed of important topics and  
6 things that we're doing in OPP. We've issued about  
7 53. If you're interested in signing up for updates,  
8 here's the QR code and you can click on the link in  
9 the slide deck when you receive it.

10 And then also for your reading pleasure  
11 are all of the OPP updates since the last PPDC  
12 meeting with some bullet points and links to the  
13 various updates that have gone out. I'll just click  
14 through them and close this out.

15 And we will open it up for discussion.  
16 I'll kick it over to Jeffrey. So thanks for  
17 listening. Hopefully, that was good information to  
18 set up the meeting for PPDC members and to think  
19 about topics that you'd like to hear about at the  
20 next PPDC meeting and also topics that you think  
21 warrant further discussion with PPDC members. So  
22 thank you for your time.

23 JEFFREY CHANG: Thank you, Ed. Now, the  
24 PPDC members will have time to discuss amongst  
25 themselves what was presented. Please use the raise

1 hand function and I will call you in order that your  
2 hand was raised. We're supposed to go to lunch at  
3 1:00, but if you guys want to push it, you know, a  
4 little over, it's okay.

5 So who would like to start? Okay, I am  
6 seeing Mark Lame.

7 MARC LAME: Hi. Good presentation, guys.  
8 So my basic question for this is -- I recognize and  
9 have, as a guy who has been on the PPDC for a number  
10 of different administrations, I know that budgets  
11 are tough, but this is -- so we had one year of  
12 remote meetings and then, you know, probably more  
13 than that, but since my newest term, and then we had  
14 one in-person meeting and now we have remote  
15 meetings again.

16 Is that for the foreseeable future or do  
17 we expect to get together in November as a group  
18 in-person? That's a question.

19 ED MESSINA: Yeah, we're -- this is for  
20 you guys to talk amongst yourself, Marc, but I'll  
21 answer the question. It really depends on budget.  
22 I like the in-person meeting, but, you know, but it  
23 really depends on budget.

24 MARC LAME: Well, then to follow up as a  
25 discussion amongst ourselves, you know, we can --

1 you know, we can do certain things remotely, but I  
2 feel, as a group of advisors, that it's difficult to  
3 develop the relationships and the communication that  
4 is needed to provide the best advice unless we are  
5 meeting together. I think it's a matter of  
6 priorities and I wish that our FACA had a higher  
7 priority. I'm not quite sure how my fellow  
8 committee members feel.

9 ED MESSINA: Thanks, Marc.

10 JEFFREY CHANG: Nathan Donley.

11 NATHAN DONLEY: Great. Well, thanks, Ed  
12 and Monique. I appreciate your overview. It's nice  
13 to see all the work that OPP is doing because it's  
14 actually pretty impressive. So thanks for that.

15 There's just a few things I want to bring  
16 up. You all have two applications on your desk  
17 right now. One is to approve Dicamba, the new use  
18 that federal courts have twice vacated, and the  
19 other is to expand use of one of the most disgusting  
20 pesticides ever to be used, which is Aldicarb, on  
21 Florida citrus. I can really think of no better  
22 examples where the agency just flat out needs to  
23 say, no, this won't work. It's something so simple,  
24 yet something this agency struggles with, just  
25 saying no.

1           I can't tell you how many FOIA productions  
2 I've gotten and gone through where EPA goes to meet  
3 with registrants preparing to tell them that they  
4 can't get this pesticide to pass and then  
5 registrants come back with their consultants and  
6 say, no, no, every looks fine, go back to the  
7 drawing board, and it goes back and forth like this  
8 for months and even years sometimes until the  
9 political pressure gets so hot that EPA makes  
10 regrettable approvals.

11           So there just seems to be a problem here  
12 with saying the word "no," and nothing would make me  
13 happier than for me to look like an idiot because  
14 EPA actually did something I said they probably  
15 wouldn't do. So please make me look stupid and tell  
16 the registrants that these harebrained schemes just  
17 don't meet the standards we have in place here in  
18 the U.S. and no amount of horse-trading or  
19 negotiations are going to get those products to meet  
20 our standards.

21           And then in regards to NAMs, while we're  
22 supportive of EPA's decision to cancel most uses of  
23 Acephate, we're strongly opposed to the way in which  
24 EPA has used NAMs to eliminate the FQPA child  
25 protective factor, both for Acephate and Malathion

1 and probably more organophosphates to come. And,  
2 you know, I want to stress we're not opposed in  
3 general to the use of NAMs in regulatory  
4 assessments. They provide data and data is always  
5 useful.

6 But it's important to understand what the  
7 data are capable of telling you and what they can't.  
8 And I just think there's a disconnect between how  
9 EPA believes these tests can be used and how the  
10 broader scientific community believes they can be  
11 used based on their notable limitations, notably  
12 EPA's Health Advisory Committee, the Children's  
13 Health Advisory Committee and OECD being among those  
14 organizations.

15 So right now, DNT or development on  
16 neurotoxicity, NAMs are good at telling you whether  
17 a hazard is absent, but they're not really great at  
18 telling you whether a hazard is absent. Type 2  
19 errors are still quite common. Type 2 errors are  
20 false negatives. So our worry is that these tests  
21 are being used to preclude the presence of a hazard,  
22 a neurotoxicity hazard, to get rid of vital  
23 protections for very young children. So I just want  
24 to, you know, urge the EPA to take a protective  
25 approach here, one that aligns with environmental

1 justice principles and retain the FQPA child  
2 protective factor for the organophosphates and many  
3 more pesticides beyond that. Thanks. That's all  
4 for me.

5 JEFFREY CHANG: Mano Basu.

6 MANOJIT BASU: Thank you, Jeff. Ed, thank  
7 you very much for that overall view of where we are  
8 with the OPP and the registration process. Again,  
9 we all pride ourselves on the robust scientific risk  
10 assessment process that EPA follows and that takes  
11 time.

12 SAPs are required in many instances and  
13 science evolves and improves and, you know, we  
14 appreciate that conversation, these meetings, and  
15 the back-and-forth with the registrants and the  
16 willingness to engage with the scientific community.  
17 It takes time and it's a slow process. At the end  
18 of it, we always hope that the right decision based  
19 on proper science is made.

20 So I also understand, you know, the  
21 challenges you have with the fees and resources.  
22 What would be helpful going forward as -- you know,  
23 again, as you said, part of the OPP budget is from  
24 fees. I didn't see a graph of how you are tracking  
25 fees, the PRIA fees that you collect, and that's



1 kind of an incomplete picture of where we are from a  
2 resource. So that would be helpful for overall  
3 PPDC, if we can track how much fees you are  
4 collecting year on year.

5 Also, thinking about yes, staff, the  
6 number in itself is important, however, the average  
7 tenure could also have a significant impact because  
8 as you are bringing in new staff, they still need a  
9 lot of time to come up to speed, while those that  
10 have been with the agency for several years, again,  
11 you know, know the ins-and-outs. So that kind of  
12 information would be helpful as well to balance  
13 things.

14 You mentioned about the contract cuts and  
15 we understand, from a budget point of view, you have  
16 to make those decisions to manage within the budget  
17 that is available. Thirty-four million is a huge  
18 number, but what would be helpful is kind of getting  
19 a breakdown of what those -- and getting a little  
20 bit more insight on what are those contract cuts are  
21 whether it's BRD, RD, what are those contractors  
22 doing with the up-front work you mentioned. Having  
23 a little bit more breakdown would certainly be  
24 helpful.

25 The reason I bring this on, you know, I

1 certainly have complained in the past in my current  
2 organization or previous organizations --  
3 thankfully, my CEO is not here -- but budget cut is  
4 a real challenge and it is a real challenge for our  
5 industry, for academia, for government. And, you  
6 know, we all have the amount of work that we need to  
7 do in the budget we have and, unfortunately, the  
8 project hasn't, in my case, grown over the years.  
9 We just kind of always find a newer way, more  
10 efficient ways.

11           And as we think about it from even an EPA  
12 perspective, okay, the 34 million and you said there  
13 are contractors who come in and help prepare the  
14 package so that staff is not spending too much time  
15 to develop that package and they can get into the  
16 review process, is there an opportunity for industry  
17 or for someone to take that work on, putting the  
18 package in a way that staff can start working on?  
19 You know, what are those process efficiencies?  
20 Is there a possibility for a few of us, whether it's  
21 a PPDC workgroup or however we want to consider  
22 this, to look into ways of bringing more efficiency  
23 in?

24           Because I understand the budgets are less,  
25 but we cannot expect to do the work the same way and

1 get an output within the timeline if budgets are  
2 being cut with the same resources. We have to find  
3 newer ways to get the same amount or a higher amount  
4 of work done with fewer resources.

5 So those were just some of my comments. I  
6 really appreciate with the push on progressing the  
7 science, whether it's on NAMS -- I think, as science  
8 evolves, it is important to consider new  
9 technologies that are coming in, to inform the  
10 regulatory decisions at the level that is feasible,  
11 possible.

12 I appreciate the work that is going on in  
13 AFR/AMR world. I know there is a session later  
14 today on the resistance and that resistance is  
15 mostly focusing on the herbicide, insecticide, and  
16 fungicide. However, you know, is there an  
17 opportunity to look into a broader scope of AMR and  
18 AFR.

19 I know there are several other hands and  
20 I'm just eating into their time, but, again, thank  
21 you for your overview. There are a few things that  
22 we should consider for more data and efficiency  
23 improvements. Thank you.

24 ED MESSINA: Thanks.

25 JEFFREY CHANG: Grant Morris.

1           GRANT MORRIS: Yeah, hi, just real quick,  
2 obviously, budgets are what they are having reduced  
3 everywhere, but these crop tours, I believe, are  
4 really beneficial, both for the stakeholder and for  
5 those involved in the rulemaking process, so if  
6 there's anything that -- I don't know the  
7 possibilities, I don't know the rules around it, but  
8 if there's any way to help facilitate that as  
9 stakeholder going forward, or I would at least  
10 encourage you guys to maybe find a way to get that  
11 information -- if you can't do it in person, if  
12 there's other ways digitally, to acquire that  
13 knowledge because I think that's a really important  
14 part of what you guys are doing. Thanks.

15           ED MESSINA: Thanks, Grant.

16           JEFFREY CHANG: Kim Nesci.

17           KIMBERLY NESCI: Hi, this is Kimberly  
18 Nesci. I have a couple of questions and I'll just  
19 put them in here and others can respond as they  
20 wish.

21           So the first one is considering the cuts  
22 and budgets being what they are, do you, Ed,  
23 anticipate needing additional time to complete  
24 registration -- this round of registration review or  
25 do you anticipate meeting that 2026 deadline? So

1 that's question number one.

2           And the second question is about Dicamba,  
3 and the question is whether the applications that  
4 you have in hand contain enough new information that  
5 would allow you to make a safety finding. I know  
6 you don't know that yet, I'm sure. But I personally  
7 can't envision how that would happen. So I would  
8 encourage you to let growers know as soon as  
9 possible if you're in a place where you determine  
10 that you can't make that safety finding, so that  
11 growers can adjust for 2024 season -- ah, the 2025  
12 season. Time goes by quickly. Thanks.

13           ED MESSINA: Thanks, Kimberly.

14           JEFFREY CHANG: Anastasia.

15           ANASTASIA SWEARINGEN: So thank you so  
16 much, Ed, for the presentation. It's really great  
17 to see that there have been improvements,  
18 particularly around the approval of noncoded PRIA  
19 actions. We really appreciate the efforts that have  
20 been made by RD to improve those and really  
21 encourage the sharing of what RD has learned and  
22 improving the approval of those  
23 registering decisions.

24           I want to share Mano's comments about  
25 improving efficiencies. We'd love to see more of

1 that and we are looking forward to getting the audit and  
2 those findings underway, too. So thank you so much  
3 for the work that you're doing with the budget that  
4 you have, and it would be great to see you all in  
5 person in November and I hope the budget allows for  
6 that to happen.

7 ED MESSINA: Thank you.

8 JEFFREY CHANG: George Parker.

9 GEORGE PARKER: Yes, good morning. Good  
10 afternoon for you guys over there, I guess. Thank  
11 you, again, for that presentation.

12 As you know, I'm new to the PPDC, but I  
13 know my predecessor, Damon Reabe, was involved with  
14 the PPDC Emerging Technologies Ad Hoc Committee.  
15 And as I understand it, the committee recommended --  
16 and it's also the EPA's intention -- to model  
17 pesticide drift and efficacy from drone applications  
18 and to develop label language accordingly.

19 I also know that that work is underway by  
20 the consortium of pesticide manufacturers under the  
21 unmanned aerial pesticide applications system task  
22 force to better understand the movement of applied  
23 pesticides from drones and that the National  
24 Agricultural Aviation Association is working with  
25 the stakeholders to recode the ag drift atmospheric

1 model that basically all of us are pattern-tested  
2 and models pesticide applied movement to better  
3 facilitate incorporating drone applications into the  
4 model. I believe the EPA is being informed about  
5 both of these efforts currently.

6 My question is if there's a timeline the  
7 agency has established to begin modeling the  
8 pesticide application movement from drones in the  
9 reregistration and labeling of pesticides separate  
10 from existing single crop and single rotor  
11 large-crewed, manned aircraft. I believe currently  
12 other governments, such as Canada, require  
13 drone-specific atmospheric testing be conducted and  
14 evaluated before they label pesticide applications  
15 for uncrewed aircraft. And, currently, as the wave  
16 takes us on, the current drone operators are sort of  
17 operating in a gray area with no specific language.

18 Thank you.

19 ED MESSINA: Thanks, George.

20 And if you want to throw your question in  
21 the chat, it seems like others are doing the same.  
22 We can, you know, take some of this back and make  
23 sure that we're addressing these, and then also,  
24 particularly for some of the other sessions, there  
25 will be plenty of time to talk about emerging

1 pathogens, ESA work, farmworker work. So just look  
2 at the other agenda sessions and think about some  
3 questions and conversations there for those panel  
4 members as well. Thank you.

5 JEFFREY CHANG: Anna van der Zalm.

6 ANNA VAN DER ZALM: Hi, I hope you can all  
7 hear me. Thank you so much, Ed and Monique, for  
8 those updates. And I know that we're probably  
9 wanting to get to lunch, so I'll try and be really  
10 quick.

11 But I just wanted to jump in on this issue  
12 of NAMs as well, and, in particular, I suppose, the  
13 issues or so-called issues with the DNT assays, I've  
14 been following the OCD process for those assays very  
15 closely, was involved in some of the assessment of  
16 the methods and in the development of that guidance  
17 document, and I just wanted to confirm for the group  
18 that in terms of sensitivity, the DNT assays are  
19 sensitive and in terms of picking up certain  
20 mechanisms associated with human DNT.

21 But I think maybe some of the issues may  
22 come about with interpretation, but I think that's a  
23 problem that we have with current in vivo studies as  
24 well. And those in vivo studies have significant  
25 problems of their own. They lack reproducibility,



1 relevance to human outcomes in certain -- in certain  
2 situations.

3           And I just would like us all to think  
4 about the problems with the current set of tests  
5 that we have and how we can improve on them and I  
6 know that many of us echo this as well. But, yeah,  
7 it's about improving the technology that we use in  
8 toxicology. We're not using the same technology for  
9 our phones and our cars that we were 10 years ago,  
10 20 years ago, and most of the methods that we're  
11 relying on are, you know, up to 40 to 80 years old  
12 at this point.

13           So we're trying to move the science  
14 forward as Ed and Monique said, and I'm very pleased  
15 with how the EPA are working through that workplan.  
16 So thank you so much for the updates.

17           ED MESSINA: Thank you.

18           JEFFREY CHANG: Anyone else?

19           (No response.)

20           JEFFREY CHANG: Okay. Ed, if you would  
21 like -- we can go to lunch now, if people would  
22 like, and please return at 1:45 p.m. Maybe a few  
23 minutes beforehand is great. Please do not leave  
24 the meeting. Just put yourself on mute, so you can  
25 easily come back into the meeting. Does that make

1 sense?

2 ED MESSINA: Yes, thanks, Jeffrey. See  
3 everyone in about a half an hour.

4 JEFFREY CHANG: Yep, thank you.

5 (Lunch break.)

6 JEFFREY CHANG: Welcome back, everyone.  
7 We hope you had a good lunch and are feeling  
8 refreshed for our first workgroup update from the  
9 Pesticide Label Reform Workgroup. Leading the  
10 session will be workgroup co-chairs, Lisa Dreilinger  
11 from Arxada, Sarah Hovinga with Bayer, and Michelle  
12 Arling with the Office of Pesticide Programs.  
13 Welcome.

14 PESTICIDE LABEL REFORM WORKGROUP UPDATE

15 MICHELLE ARLING: Thanks, Jeffrey. I'm  
16 just going to take a second to pull up the  
17 presentation.

18 LISA DREILINGER: And lower our hands.

19 MICHELLE ARLING: Perfect.

20 LISA DREILINGER: While Michele is doing  
21 that, I will take the opportunity to thank all of  
22 the workgroup members that are on here today or are  
23 not listening, but may see the recording, that it  
24 has been an amazing year of a very dedicated group.  
25 So we just wanted to -- just as a very heartfelt

1 thank you to the workgroup members, which Michele is  
2 going to put up the names, but I just want to say  
3 thank you before we begin because we could not have  
4 had this update without them.

5 MICHELLE ARLING: Thanks, Lisa. So I'm  
6 going to start us off and then pass it to Lisa and  
7 Sarah to further describe the work of this Label  
8 Reform Workergroup over the past year or so.

9 So as Lisa mentioned, we do have a lot of  
10 dedicated workgroup members. They're all up on this  
11 slide. It includes a bunch of people from a variety  
12 of industries or sectors. On this slide, you can  
13 see where the workgroup members come from and it is  
14 a range of interests that are represented, and I  
15 will say they have all been actively engaged, and  
16 the conversations are really respectful and  
17 enlightening for everyone in the group. So we're  
18 really grateful that we have such a diverse set of  
19 members.

20 So for this workgroup, it was formed after  
21 the Spring 2023 PPDC meeting. And following that  
22 kind of charge to form from the PPDC, the workgroup  
23 developed some charge questions and goals. The  
24 goals were around the efficiency of the review and  
25 approval process, the consistency of that same

1 process, and then the adoptability of whatever's  
2 developed by both industry and consumers.

3 So we made charge questions in two areas.  
4 One is around the label submission and approval and  
5 technology, and the other is around content and  
6 accessibility of labeling.

7 And under the first charge question, we  
8 quickly realized we had to break it into short-term  
9 and long-term goals. So short-term, we're looking  
10 at tools that we could use to improve or maximize  
11 efficiency, and then long-term, looking more about  
12 what the optimal electronic labeling or structured  
13 digital labeling process would look like to improve  
14 things on the agency side, industry side, state  
15 approval side, and then finally down to the users.

16 And then the second charge questions  
17 around content and accessibility are kind of like  
18 what we could do to make labeling more accessible,  
19 thinking about what labeling currently looks like  
20 and what needs are not being met and then also  
21 looking at what changes would be good to make to the  
22 Label Review Manual.

23 This is a lot for any group to take on, so  
24 we put some things in the parking lot. So we, right  
25 now, have in our parking lot display issues, so

1 issues around the what the final printed label would  
2 look like, as well as the end user experience, and  
3 that's mostly because we're beginning at the  
4 beginning of the process, so looking more at the  
5 approval side, and then that will funnel down  
6 towards the end user experience. So not off the  
7 table just later in the process.

8           And then the other thing that we found out  
9 early we had to put in parking lot is directions for  
10 use. We are able to look at a lot of different  
11 parts of the label that were easier to segment and  
12 talk about. Directions for use, as most of you know  
13 is a real behemoth and varies a lot across products,  
14 and so in order to keep our forward momentum we put  
15 directions for use in parking lot temporarily.

16           So next up is our timeline and how we've  
17 been working together. So as I mentioned, we formed  
18 the PPDC workgroup last spring or last summer, and  
19 then from the middle of the summer on, this group  
20 has been meeting weekly on Thursdays from 2:00 to  
21 3:00, through a Teams meeting, and it has been a lot  
22 of dedicated work and a lot of progress is being  
23 made because of the dedication and really consistent  
24 meeting of this group.

25           We share documents on a Teams site. We

1 also have a lot of conversations during the meeting  
2 and then over email.

3 So our original target was to have our  
4 recommendations completed and submitted to you all  
5 in Spring 2024, and we're going to get to some of  
6 those recommendations later in the presentation.

7 LISA DREILINGER: Thanks, Michelle. We're  
8 going to get to some of those recommendations, but  
9 then we're going to highlight what we weren't able  
10 to finish in the time period that we have and what  
11 we're hoping to continue to be able to work on in  
12 the short term.

13 I just want to special shout-out to  
14 Michelle who runs the Teams and runs the calendar  
15 invites, as you can see, there is a large number of  
16 people that are on this meeting and it is not easy.  
17 So a special thank you to Michelle, who is the owner  
18 of the Teams and calendar invites. So thank you,  
19 Michelle.

20 So we presented in November that a core  
21 structured digital labeling is necessary for label  
22 reform. And we obviously are standing by that. We  
23 have not changed fundamentally anything that we had  
24 presented in November. So some of this you might  
25 have seen in November, but we have built on it, so

1 we wanted to share it again.

2 In the short term, we really believe that  
3 creating a voluntary label structure is important.  
4 I think, in November, we used the word "template."  
5 The word "structured" is starred on the slide  
6 because we are still in discussion about what the  
7 nomenclature needs to be and the terminology needs  
8 to be. And what we learned is that a lot of the  
9 group members are saying the same things, but they  
10 are using different language. So we are trying to  
11 take a step back and level-set on the words that  
12 we're using to make sure we are all agreed and that  
13 we all understand that we are speaking the same  
14 language, so to speak.

15 So our overall goal was to share  
16 information with the USEPA in a consistent order,  
17 using recommended similar words, stock language, or  
18 controlled vocabulary. But I have to highlight that  
19 this is voluntary, that there would be no  
20 requirements to use this structure. We are hoping  
21 to be able to incentivize registrants to use the  
22 structure in a way that it would build efficiencies,  
23 and that will come later, I believe, in our  
24 recommendations.

25 So our overall goal is to have all

1 pesticide products, so products that would fall  
2 under the Registration Division, Antimicrobial  
3 Division, and the Biopesticides Division would all  
4 use the same structure. So maybe the data elements  
5 that we have identified would not all be required  
6 for each of the different types of pesticides, but  
7 that we could use the same overall structure for all  
8 the different types of pesticides.

9           We do have an example of an antimicrobial  
10 label, which we will share in a couple of slides, I  
11 believe, or maybe even in the next slide, and it's  
12 just to give an idea of what one example of a  
13 structured label will look like. It is still a work  
14 in progress, I want to highlight, that we are not  
15 quite there yet. But we did want to share what we  
16 were thinking.

17           So we did identify all the data elements  
18 that are necessary. We are going to highlight the  
19 source of the information. We're hoping that this  
20 would provide an education for some users that do  
21 not know where to find the information on what goes  
22 on a pesticide label.

23           We have also worked on a pick list, so  
24 that standardization of language, the stock  
25 language. We have not planned right now for that



1 pick list to go in the label structure. As of right  
2 now, it's a standalone separate document and it has  
3 not been integrated because it was so cumbersome and  
4 so large that we actually did not know how to  
5 integrate it into this system manually. So we are  
6 open to suggestions, and our recommendation is that  
7 we provide the pick list for those that would like  
8 to use the structured labeling.

9           So we have some data elements that we  
10 think could be representative in a way that would  
11 build efficiencies and maybe maximize on the EPA's  
12 resources. And we know -- we heard Ed this morning  
13 -- that there is obviously some stress on EPA  
14 resources, and I'm being kind and gentle, but  
15 obviously there is a \$12 million gap and we're all  
16 virtual so we understand we've made some sacrifices  
17 and we have tried to highlight some places that we  
18 think could be just as effective by being a  
19 representative placeholder.

20           So some examples of that are QR codes and  
21 websites, and telephone numbers, as we think they're  
22 important to be representatively on the label, but  
23 because they are so dynamic in their nature that it  
24 may not be beneficial to have them reviewed at the  
25 time of registration.

1           So we recommend that, obviously, for  
2 further efficiencies that EPA use compare doc  
3 technology and we have kept that in mind as we have  
4 made recommendations for the structure of this  
5 label.

6           And I think we can go to the next slide  
7 and maybe it will be easier to explain. Oh, okay,  
8 I'll wait until the next slide, the Table of  
9 Contents slide, and we can go back to the label  
10 compare.

11           But basically, we put all the marketing  
12 claims at the back of the label because that is what  
13 generally changes the most when you are looking for  
14 a shortened antimicrobial label. So our thinking  
15 was that if you put the marketing claims at the end,  
16 then when you compare tool a doc, only the end  
17 document -- the end pages would have changed and  
18 then, therefore, those are the ones that would have  
19 to be reviewed.

20           The overall goal is just to stop de novo  
21 reviews from happening when some of these  
22 submissions are going in two times a year or even  
23 every other year. Not a lot is changing and maybe  
24 only what's new needs to be reviewed as a way to  
25 keep things moving.

1           Now, we can go to the next slide. Sorry.

2           So that is what structured labeling looks  
3 like, and then, of course, structured label is going  
4 to lead into digital labeling. So right now, our  
5 data that we use is actually leading towards our  
6 master label and what we can put on the master  
7 label. And one of the ideas is to actually create  
8 digital data that would potentially autopopulate the  
9 structured labeling, in which case the data would be  
10 driving the label automatically instead of it being  
11 manual.

12           So, of course, we want to think about  
13 digital data in the same way that we sort of think  
14 about emails. So you can use any email system and  
15 you can talk between people. Like I could use Gmail  
16 and Michelle could use her EPA.gov account. But we  
17 can talk, it doesn't really matter, as long as the  
18 email is in a necessary form. And what we're trying  
19 to capture and understand is different people might  
20 use different digital data, but we want to make sure  
21 that no matter what platform we are using that the  
22 data is robust.

23           So, of course, we don't know what system  
24 EPA is going to choose. I know there has been some  
25 progress in this area, but because we don't know

1     what system, we have put the system itself in a  
2     parking lot and really talked about the digital  
3     data, itself. I just wanted to give a background  
4     that we -- and it resonated with me that when you  
5     think about it in terms of an email system that  
6     really sort of the labels go on, that you really  
7     want it to be fluid and not just bound to one  
8     system, but that the data itself would be digital  
9     and shared.

10            So obviously, the chemistry data that we  
11     are submitting goes on an ECSF. The tox data that  
12     we are submitting directly drives the precautionary  
13     language. The use directions are related to how the  
14     efficacy studies have been run, and the storage and  
15     disposal is also related to, of course, the  
16     chemistry. So when you take all of the data that  
17     goes into a package and then gets reflected on a  
18     label, it would be awesome to have that label  
19     digitally available and potentially autopopulate  
20     parts of label in an ideal world. If nothing else,  
21     it would be digitally available. That allow for  
22     speed of looking up certain aspects of the label  
23     when the agency is reviewing them.

24            I mean, digital labeling and digital data  
25     would significantly speed up the process of label

1 generation and data review in general in terms of  
2 registration approval. So we're looking to not only  
3 change in the short term, but looking overall in the  
4 long term, the best way that we could really have a  
5 master label substantiated with data and used for  
6 risk assessments and all the other parts that go  
7 into -- all the other considerations that go into an  
8 approval from a regulatory point of view.

9           And it's really, in general, a movement of  
10 -- instead of a document-centric -- so everything is  
11 related to the master label right now, it actually  
12 would all go back to the data and that your  
13 registration would be data-centric instead of  
14 label-centric.

15           So then, of course, we want to include  
16 automated information for the end user as much as  
17 possible. So we're not really sure how that would  
18 tie into, you know, programming traffics or end user  
19 specifics. We think there's a lot of opportunity  
20 once the data is digital to really -- that second  
21 charge question that Michelle was talking about, you  
22 know, about the diversity and inclusion and  
23 accessibility of some of this data and this  
24 information to the people who are actually using  
25 these pesticides could be priceless. And we want to

1 make sure that we consider that as we develop our  
2 recommendations.

3 Next slide.

4 So this is a voluntary approach, as we've  
5 said. These are short-term proposals for the  
6 electronic structured labeling. Just some things to  
7 keep in mind as these are agreements we made, as I'm  
8 about to show you what our short-term structured  
9 label actually looked like for antimicrobial  
10 product. So not every data element is mandatory on  
11 every label. So just to keep in mind that, in some  
12 cases, it might be okay to have an empty space next  
13 to data element.

14 The pick list or standardized language  
15 that we were talking about has been compiled except  
16 for the use directions, which Michelle noted was in  
17 the parking lot because they were just too different  
18 and we would not have made as much progress if we  
19 stopped. And we hope that that list will be  
20 available at the time that the structured labeling  
21 is also piloted.

22 There will always be an option to add free  
23 text. This came back again and again and again,  
24 almost as many times as the voluntary question came  
25 up, the "will we be able to add free text." The

1 answer is yes. Our recommendation is that you would  
2 always be able to add free text. There are always  
3 exceptions to rules and we don't want to create an  
4 environment in which a registrant cannot add what's  
5 appropriate for their registration.

6 All data and information would fit into  
7 one of the data elements. We did not create a  
8 miscellaneous data element and we did that because  
9 we want to really drive the need to fit into one of  
10 the data elements. If there's information that  
11 needs to go on a label that does not fit into one of  
12 the data elements, then we fundamentally missed a  
13 data element and we need to go back and reassess.

14 And, of course, the information should be  
15 understandable by all audiences so that any  
16 education level can understand the pesticide label.

17 And, of course, we want to be prepared for  
18 when technology advances that we can reduce the  
19 review time and use the compare tool as much as  
20 possible, and we want to create efficiencies to make  
21 sure that the agency is able to drive innovation and  
22 protect public health all at the same time.

23 So the electronic labeling data of  
24 elements is -- this is a table of contents. So  
25 these are the data elements that have been

1 identified for antimicrobial product that are  
2 necessary. So every data element -- and some have  
3 been lumped together as you can see. Number 1  
4 includes product name, active ingredient, net  
5 content, signal word, the "keep out of the reach of  
6 children" statement and the restricted use pesticide  
7 statement, and then, of course, that's all on front  
8 of the pack, and then the general information for Number  
9 2 is on the front or the back of pack.

10 So not only are we trying to educate about  
11 the data elements that are required for the label,  
12 but we're also trying to educate where those data  
13 elements are required to go.

14 Again, we're hoping that this is going to  
15 help those that are less educated in terms of  
16 putting a master label together to really  
17 understanding what's needed and where it belongs,  
18 and then, towards the end, you'll see we also put in  
19 where more information on each of these data  
20 elements can be found.

21 So next slide, please.

22 So this is just an example. The 1, 2, 3 and  
23 4 would be the size of entire page. You would put  
24 the information, your product name, active  
25 ingredient, net contents, et cetera, into that white



1 space that is there. And, again, the pick list  
2 would be in a separate document that you could pull  
3 from. We could not figure out how to create this  
4 Word document, which kind of is similar to a safety  
5 data sheet in terms of the sections that we are  
6 creating in hopes that it would create -- you would  
7 always know where to look for -- net contents would  
8 always be in Section 1, for example, or first aid  
9 would always be in Section 3 and precautionary  
10 statements always in Section 4.

11 The hope is that you would -- knowing  
12 where to look for the information, you would be able  
13 to, in the future, also when you are updating the  
14 legal or looking for information or needing the  
15 digital data that drove the label language, you  
16 would know where to look for it.

17 So on the next page, I think you can find  
18 the references and then whether or not they're  
19 required on the front of pack or back of pack.  
20 Again, this was just in the hopes to create some  
21 sort of education as part of the structured labeling  
22 for those who are really interested in knowing  
23 either more information or where they can find  
24 information on each of the data elements.

25 I know that this is somewhat specific to

1 the antimicrobial example. It is definitely broad  
2 enough. It is missing some data elements for  
3 conventional, but the structured labeling theory  
4 should apply to all of the pesticide types. So I  
5 believe this is my last slide and I'm going to send  
6 it to Sarah.

7 SARAH HOVINGA: Thanks so much, Lisa and  
8 Michelle. And for my part, it's been also a great  
9 privilege to participate with this very passionate  
10 and active and engaged group, as well as co-chair  
11 together with Lisa and Michelle. So thanks for  
12 everybody's work.

13 I wanted to highlight that in addition to  
14 the work on the charge questions that Michelle went  
15 over and Lisa and also the master label structure  
16 exercises, for example, the antimicrobial example  
17 that Lisa just showed, we did the same sort of thing  
18 for agricultural products and want to continue work  
19 on that.

20 Another thing that really helped the group  
21 jointly learn about many of the fundamental concepts  
22 that need to be worked on prior to a submission  
23 tool, so all of the fundamental kind of IT needs,  
24 the, you know, controlled vocabularies, rules, et  
25 cetera, that Lisa went over in a little bit more

1 detail, we have this opportunity to exchange with  
2 many groups on their perspectives and expertise  
3 around digital infrastructure, standards, digital  
4 labeling possibilities, so what could the future  
5 look like, current pilots that are underway in  
6 different countries, so we can learn about  
7 specifically what Canada is doing, and then also  
8 some of the academic approaches that are being  
9 thought about in the same context of the structured  
10 approach and overall label reform.

11 So in a big meaty topic like label reform  
12 and digital labeling, you know, it's really  
13 important to not only get the perspective of, you  
14 know, scientists and people that are capable in the  
15 pesticide labeling and registration and review side  
16 of things, but then also there's this [connection  
17 issue] of IT concepts and digital transformation  
18 concepts that the group definitely has learned along  
19 the way. So that contributed to a lot of what you  
20 saw in terms of our recommendations.

21 One entity I realized that wasn't listed  
22 here was we actually went to them, was AAPCO  
23 [connection issue] the states and definitely as you  
24 saw on the first slide of the stakeholders, we have  
25 states involved and so definitely a key stakeholder

1 of this group and the overall needs of label reform,  
2 once we get to that more end user piece after the  
3 more upstream piece of submission and review like  
4 we've been talking about.

5 And to mention, you know, the very diverse  
6 group of stakeholders, not only that we've engaged  
7 with on this slide, but also on the group, are  
8 extremely important to this topic. You know,  
9 pesticide labels touch different groups of  
10 stakeholders along their life cycle, and so really  
11 ensuring, you know, we're mapping out the different  
12 stakeholders and their touch points to the label  
13 along the way in some sort of a roadmap, you know,  
14 to make sure that at that point in the life cycle  
15 it's working for the benefit of that stakeholder, would  
16 be the ideal scenario at the end of the day.

17 I think we can go to the next slide here.  
18 So summarizing, we have a couple slides left and  
19 you've heard already some of the work on the charge  
20 questions and also some of the short-term  
21 recommendations that Lisa went over. You know,  
22 again, really we're meeting every week and so that  
23 is time out of people's schedule. People show up,  
24 turn on camera, are having great conversations, have  
25 side conversations in email, and so it's obvious

1 that we have a lot of expertise and contribution on  
2 this team which is greatly, greatly appreciated and  
3 has been one of the reasons why we've been able to  
4 make so much progress on such as a complex topic.

5 It should be noted that even though the  
6 group is working towards the final vision of digital  
7 data and electronic labeling and really the full  
8 digital transformation is really going to be  
9 necessary for us to realize full benefits, there are  
10 possible baby steps. So I think that's been a big  
11 focus of this group as well, you know. What are  
12 those baby steps?

13 Also, you'll see in the next slide -- I  
14 don't want to go to the next slide yet, but you'll  
15 see in that reflected, too, just the need to clearly  
16 define some of the expected outcomes of some of  
17 those baby steps so that we can continue to show  
18 incremental progress, especially with a project that  
19 will take some time like digital labeling.

20 In the meantime, we also had the  
21 opportunity to look at the EPA white paper that came  
22 out last November, which is a great read from the  
23 perspective of EPA in terms of how they're thinking  
24 about digital labeling, as well as some proposals  
25 for steps, you know. That comment period has since

1 closed. But as a PPDC group, we had the chance to  
2 look at that and we're encouraged that many of the  
3 areas that we were working on and some of the things  
4 that we were thinking also overlapped with the  
5 perspectives. So that was encouraging that our work  
6 is supporting, you know, what's happening at EPA, so  
7 hopefully this continues to support.

8 As Lisa identified, you know, we went  
9 through the data elements and identified those where  
10 there's the potential for pick lists or not in the  
11 case of, you know, the need for free text. We  
12 identified possibilities for automation, like with  
13 signal words, for example. There's stock language  
14 that can be used. Also identified, you know,  
15 potential databases that could be referenced,  
16 possibilities for controlled vocabulary. So I think  
17 there's a lot of work that can still be thought of  
18 for this.

19 And as Lisa mentioned pick lists were  
20 created, very good progress on the master label  
21 structure format. Again, we're still needing to  
22 align on that terminology and vocabulary just to  
23 make sure that we're speaking the same language.  
24 And even though we're not yet at the place where we  
25 would recommend a tool, because all of these

1 fundamental concepts that we've gone over first need  
2 to be worked on before that tool would provide what  
3 you need. You need to define the needs first and  
4 then the tool delivers on those needs.

5 We did want to make sure that we were  
6 collecting some of the kind of Eureka moments that  
7 came out of some of these exercises. So document  
8 repair technology, like we've mentioned, some sort  
9 of way to update. Let's say -- I don't know -- a  
10 new mode of action or a new terminology that hadn't  
11 been thought of before, so a way to update some of  
12 those standard language options, pick list options,  
13 for example.

14 In the case where maybe like a phone  
15 number, you know, there's areas for  
16 self-certification. Prompting of mandatory text.  
17 If it's already legally required to say something,  
18 for example, why not just have that be a prompt and  
19 users can kind of easily accept it without having to  
20 create it de novo.

21 Out of population, functionality, you  
22 know, if then some of the data elements are  
23 contingent upon each other, so why not make that  
24 link a little bit more clear. And then there's  
25 other systems that users, for example, you know,

1 BulletinsLive, there's databases like PPIS that  
2 perhaps can be linked to increased efficiency. You  
3 know, version control so there's this trust factor,  
4 you know, what's been done to the document, for  
5 example, and publishing topics. So ideally, we're  
6 looking for the single source of truth to really  
7 improve the overall efficiency on both sides of  
8 registration of dossiers.

9           So I think the next slide has some of what  
10 we see as possibilities in the future for this  
11 group. So I hope you see that with the diversity of  
12 expertise and the amount of network, let's say, that  
13 all of these stakeholders from their different  
14 approaches have in the PPDC community. The group  
15 and members of the group can really be considered a  
16 source for testing, you know, if a concept is  
17 needing a sounding board, for example; education on  
18 some of these fundamental concepts that we've really  
19 been discovering along the way; and then, of course,  
20 you know, discussing and kind of understanding  
21 different approaches that different stakeholders  
22 have.

23           You know, EPA is thinking about this a  
24 lot, you know, as evidenced by projects, for  
25 example, the white paper. So the PPDC group and



1 members of the group can really be considered as  
2 experts in case there's digital platforms, you know,  
3 controlled vocabularies, phrases, metrics that need  
4 to be thought about and so really consider this  
5 group as a source for that consultation, if needed.

6 I know there are parking lot issues and  
7 topics that Michelle had brought up in beginning of  
8 the presentation more on the end user piece. It  
9 would be our hope to kind of understand that big  
10 picture and map out where the different stakeholders  
11 are and where their needs are because if we can show  
12 the fundamental concepts that need to be in place  
13 and then at what time point we need input from  
14 different stakeholder groups, I think that just  
15 helps everybody plan appropriately and also know  
16 that their needs are being heard.

17 So we also wanted to put that out there  
18 specifically with the states and we've had great  
19 engagement and some suggestions there, so we're  
20 looking forward to working more than that. And then  
21 like was mentioned, maybe more tangible themes  
22 working on this, you know, common set of vocab that  
23 we're using to describe digital labeling and  
24 structured labeling, et cetera, and then also  
25 ideally come out with a proposed structured master

1 label, so we have a similar order in which these  
2 data elements are appearing, no matter what the  
3 pesticide, and that could be a very short baby step  
4 in the short-term that could be achieved.

5 So all-in-all, this is our last slide and,  
6 yeah, again, it's been quite a journey. But if we  
7 reflect to even a year ago, a year and a half ago,  
8 it's really amazing the amount of progress that's  
9 been made. The discussions in my opinion are at a  
10 very high level talking about data systems and IT  
11 requirements and so really, really impressed at the  
12 -- all of the different perspectives brought from  
13 all of the members and what we've been able to  
14 achieve so far. So thank you.

15 JEFFREY CHANG: Thank you, Sarah. Before  
16 we get into open discussion period, I wanted to  
17 remind our members that if you could speak slowly  
18 for our captioners and our translators and to keep  
19 all comments verbally in our meeting.

20 With that, I will open it up for  
21 discussion and please raise your hand and we will go  
22 down the list.

23 Robert Nielsen? Oh, you're muted.

24 LISA DREILINGER: Robert's hand has been  
25 up since you asked us to raise our hands in the

1 beginning. So I'm not sure if he has additional  
2 comment. It might be --

3 JEFFREY CHANG: Oh, you're saying it might  
4 be a legacy hand.

5 MICHELLE ARLING: Yes.

6 JEFFREY CHANG: Okay.

7 LISA DREILINGER: Yes.

8 JEFFREY CHANG: Joseph Grzywacz.

9 JOSEPH GRZYWACZ: Thank you. In academia,  
10 we refer to that as students who show up for class  
11 and then leave. So I'm not sure if that's Robert's  
12 situation.

13 But, first of all, thanks to my excellent  
14 colleagues who presented on behalf of our committee.  
15 I really appreciate your fabulous work in  
16 summarizing, let's just call it, the herding of cats  
17 that you guys have been engaged in for the last  
18 year.

19 I also want to apologize because, in part,  
20 I have been traveling and so I haven't been able to  
21 attend the last few. But I just want to complement  
22 and add a couple of extra items if I can to the  
23 great summary points that have been made.

24 I mean, the first one that I wonder about  
25 that I would really like to hear from the PPDC more

1 broadly would be is there any value in being  
2 able to think about, you know, kind of generating  
3 sort of a minimal viable unit, if we will, because  
4 we've been in these abstract conversations, and as  
5 academics, I know we can easily get lost in abstract  
6 conversation without -- you know, without gaining  
7 traction on the ground.

8           So I would propose, you know, it would be  
9 great if this workgroup could actually get some  
10 money to be able to kind of create a minimal viable  
11 unit that maybe takes, you know, a couple of the  
12 registrants and maybe does work with Caliper or one  
13 of the other ones to just simply start to see if  
14 this actually works in terms of using the templates  
15 that are there. Because, otherwise, I fear that we  
16 just get so lost in the abstraction that we can lose  
17 sight of the fact that we have to make it work, too,  
18 and so that means we have to be able to bring those  
19 things together.

20           So I would really advocate for being able  
21 to say, golly, is there any way of facilitating some  
22 kind of a pilot project that gives us a minimal  
23 viable unit so that we can actually start to see  
24 does the translation actually work if we want it to  
25 be bilingual, right, or do we start running into

1     snafus then when we try taking those data elements  
2     and then turn them into Spanish or Brazilian or  
3     whatever the translation would be. So that's the  
4     first thing that I'd like to throw out there as far  
5     as, you know, sort of a point of discussion.

6             The second point of discussion -- and I  
7     know you voted on it at the last meeting, but we  
8     still had a boat load of work in front of us and I  
9     can't help but wonder whether or not we need to see  
10    to it that we still have some life in front of us.  
11    Not that I want to meet forever, but my Thursdays  
12    without Lisa and the rest of the gang just wouldn't  
13    be the same. So I don't know if we need more time  
14    in front of us. I just wanted to throw out those  
15    two elements at least as far as discussion.

16            JEFFREY CHANG: Nathan? Oops, sorry if  
17    you were going to respond, Lisa.

18            LISA DREILINGER: No, I was going say that  
19    -- thank you, I think those are fair comments and I  
20    think one of the topics for discussion that we threw  
21    out in the beginning was the need for more time on  
22    this group.

23            SARAH HOVINGA: Yeah, and I would just add  
24    I completely agree, Joe, that it's -- you know, it's  
25    a journey and digital labeling is not going to

1     happen like this (snapping fingers) overnight, and I  
2     think that's why it's incumbent upon us, as a PPDC  
3     group, also the PPDC group in general, to think of  
4     very tangible things that can be achieved in a  
5     relatively short amount of time, and I think that's  
6     reflected in our recommendations about the  
7     structure. And, you know, if we can align on the  
8     structure and some of the building blocks, let's  
9     say, for what we know will be helpful for the future  
10    in this Label Reform Working Group, I think that's  
11    already a good step forward, even knowing that we  
12    have a lot more work down the way.

13             And I think that just helps us refine for  
14    -- I'm not saying this is a formal recommendation  
15    now, but maybe we revisit it, you know, for example,  
16    at our next meeting, but if there was a need for a  
17    specific PPDC group, for example, to look at user  
18    requirements or form groups around very specific  
19    outcomes that we know are the building blocks for  
20    what is needed here, that could be a way to think  
21    about it. And I think the work that our group has  
22    done is sort of mind-mapping all of these different  
23    things out and we need to see kind of where they  
24    fall and in what order and stakeholder group it  
25    affects and I think that informs, you know, what

1 type of expertise would be needed for that specific  
2 PPDC charge question, for example.

3 JOSEPH GRZYWACZ: Yeah, I totally hear  
4 that. I would just counter back, though, just that  
5 whole idea of, you know -- at least academics,  
6 right, we can think things to death and then we take  
7 it to implementation and it doesn't work. So, you  
8 know, in the spirit of the sprints that Ed was  
9 talking about on the front end, you know, thinking  
10 about can we get a sprint or two in here that kind  
11 of says, hey, can get a basic minimal viable unit in  
12 some way, shape, or form to test out some of the  
13 valuable items, I just think that that's needed  
14 sooner rather than later.

15 LISA DREILINGER: I was going to say yes  
16 to both of you because I think there are things  
17 that you're both saying that are sort of the same  
18 and complementary, where we take what Sarah is  
19 saying and actually apply it to a pilot program,  
20 which is what we are sort of talking about, right?  
21 Like does a structured label work in practice and it  
22 maybe doesn't need to be perfect and what's missing  
23 and what data elements have we -- we have everything  
24 identified, I think, but if we don't for whatever  
25 reason, right, let's add them.

1           I think it's always going to be a dynamic  
2 document. I don't envision that Word document that  
3 we are talking about short-term structured labeling  
4 ever being a static document. I just don't think  
5 it's possible to live in this world and be static.  
6 So I'll say thank you both and throw it back to --

7           SARAH HOVINGA: Yeah, I definitely agree.  
8 I don't think the two are mutually exclusive, so I  
9 agree.

10          JEFFREY CHANG: Nathan?

11          NATHAN DONLEY: Yeah, thanks for your  
12 comments, Joe. And I think this discussion really  
13 underscores the importance of this subject matter.  
14 First off, I really want to thank everyone involved  
15 in this workgroup for the work you've put in so far  
16 and will continue to do, I imagine. So, yeah, you  
17 know, great work here.

18                 There are a few comments I want to make.  
19 One is that I'm a little worried about the voluntary  
20 nature of what you're proposing. I think initially  
21 a voluntary electronic reporting system makes sense  
22 to kind of work out the kinks and figure things out  
23 and get things really streamlined, but I don't see  
24 the point in all this unless this pretty quickly  
25 becomes mandatory.



1           You know, it would basically keep in place  
2           a hybrid system at EPA and it would juggle between  
3           paper submissions and electronic submissions and  
4           that really seems completely inefficient and even  
5           detrimental to what you're trying to achieve here.  
6           So this strikes me as catering to the wants of the  
7           regulated industry rather than in the interest of  
8           gaining efficiencies and setting EPA up for success  
9           in its endeavors.

10           And I know that came off kind of harsh,  
11           and that was not my intent, but -- I certainly don't  
12           mean that in a mean way, but what I'm trying to get  
13           at is I think it can be easy to say, well, this  
14           company has five employees, we don't want to burden  
15           them, but ultimately this increases efficiencies for  
16           everyone, including those companies. And, you know,  
17           to be quite honest, if your company is not set up to  
18           operate in 21st Century, then you've got bigger  
19           problems than being forced to submit your CFFs or  
20           CSFs online.

21  
22           So, you know, phase it in, do what you got  
23           to do to help everyone out, but I really don't see  
24           the point in this unless this becomes mandatory in a  
25           reasonable amount of time.

26           And then the last thing I want to say is

1 this -- and I know you know this is an issue because  
2 you alluded to it multiple times in your  
3 presentation, but there seems to be a lot of focus  
4 here on the submission process and very little so  
5 far on actual kind of label usability. And I'd love  
6 to see that prioritized moving forward. I know we  
7 only have so much time in a day and you guys have  
8 already put in so much work into this and I  
9 acknowledge that for sure, but submitting electronic  
10 labels helps EPA and it helps registrants, but it  
11 doesn't really do much for the person who has to  
12 read a 70-page label and make sense of it.

13           So, you know, a lot of labels are not  
14 requiring users to consult Websites, like  
15 BulletinsLiveTwo, and even, you know, checking tank  
16 mix requirements and stuff like that. So for better  
17 or worse, labels are becoming more web-based and  
18 there's a lot of challenges with that, particularly  
19 with broadband issues in the rural environment and,  
20 you know, with farmworkers' lack of access to  
21 electronic devices to, for instance, read QR codes  
22 and log in to the Internet. But with those  
23 challenges, there's also lots of opportunities, I  
24 think, with web-based labeling and things that could  
25 be explored by this workgroup that would not only

1 help out registrants and EPA, but also those who are  
2 struggling with labels that are, quite frankly,  
3 getting a whole lot more complicated to follow.

4 So, yeah, that's all for me. Thank you  
5 all.

6 JEFFREY CHANG: Ed?

7 ED MESSINA: Thanks. Yeah, just to tie  
8 some of these concepts together in terms of what's  
9 going on in my head. I'm not saying this is all  
10 right answers, but so I'm thinking what we're doing  
11 here as sort of like the requirements gathering,  
12 right, or the human-centered design, for a lot of  
13 where we want to go in terms of the digital  
14 transformation and the vision that many folks on  
15 this call are talking about, and I'd separate it out  
16 into four areas.

17 There's the intake piece of the  
18 information; there's the how we use it internally  
19 and review it; there's the how we publish it to the  
20 digital label; and then there's how do we access or  
21 how can somebody access sort of data amongst those  
22 various parts. So for example, how many of these  
23 labels are allowed on strawberries, right? So kind  
24 of having that via a data flow that people can  
25 access throughout the entire process, including kind

1 of those four steps.

2           So in terms of a minimum viable product,  
3 to address Joe's point, the first part of this  
4 probably will be taken up with the portal piece,  
5 which is kind of that intake part, which is a lot of  
6 what's happened here, which is great, which is what  
7 information do we want to collect, how should it be  
8 digitized, what format indexing should it be in, so  
9 that when it comes in, it can help support those  
10 other three elements, you know, review, publishing,  
11 and then sort of data requests.

12           And then the other part that's happening,  
13 to Nathan's point, is that sort of digital label,  
14 BulletinsLive, Spanish labeling, right, QR codes,  
15 being part of that solution, and that's kind of in  
16 that third or fourth category of sort of how do we  
17 publish it in a way that's digitally available. And  
18 the whole workflow piece, the migration, the digital  
19 transformation, has been largely focused right now  
20 on that middle part of how EPA is going to be doing  
21 its reviews in a digital environment.

22           We don't do a lot of paper anymore. I  
23 think most folks are submitting digitally. I think  
24 that's by way of just, you know, the culture. So  
25 there may not be a need to require it. Maybe at

1 some point we can, you know, make it mandatory, but  
2 a lot of the information that we're getting is in a  
3 digital format. The review times are probably  
4 easier when it's in the digital format. So there's  
5 incentive for companies to not submit things in  
6 paper so that they have to spend time banging around  
7 the front end and getting scanned and putting it  
8 into formats. So I think the registrants sort of  
9 understand that that's a benefit.

10 So I'm ecstatic, I would say, with the  
11 level of effort this group has undertaken. They're  
12 laying the groundwork for how we can do this the  
13 right way when we have the time, money, and  
14 resources to apply towards the digitization and we  
15 are doing some of that right now, and I think, you  
16 know, in '25, assuming we have the budget to do it,  
17 there will be some additional functionality where  
18 minimum viable products will be presented to  
19 industry and others for consideration as we do  
20 sprints to say what about this, right?

21 So those are just my thoughts. Others can  
22 share different perspectives and I'm definitely open  
23 to hearing perspectives on the team or on the PPDC  
24 workgroup.

25 JEFFREY CHANG: Mano?

1           MANOJIT BASU: Thanks, Jeff. And a big  
2 thank you to Michelle, Lisa, and Sarah for leading  
3 all this work. I've seen them. I've attended a few  
4 of these meetings. There's a lot of work, a lot of  
5 progress, so thank you very much for all this work.

6           And I also appreciate that you are  
7 including the outreach to the states. That is great  
8 and needs to happen because, again, a lot of this  
9 information is something that the states will need  
10 to process as well. So thank you for including the  
11 states.

12           Ed, looking at this morning, you know,  
13 from a budget perspective, the budgetary challenges  
14 are those challenges, but, again, this is an area  
15 where it will bring efficiency gains, it will  
16 hopefully speed up some of the challenges that exist  
17 with the paper-based system and a nondigitized  
18 system at EPA. Though there are budget shortages,  
19 how is this work or how could this work be  
20 prioritized and sped up to ultimately have more  
21 efficiency gains and, you know, help EPA with the  
22 resource challenge it has? Because clearly there  
23 are benefits of this work.

24           ED MESSINA: Yeah. So I have that slide  
25 on everything that's in flight right now. The

1 portal is one of those priority areas. As I  
2 mentioned, I think that's where some of this will  
3 start to be shown, and then, again, on the Spanish  
4 labeling, I think there's where there will be  
5 pressure to do things.

6 We have a pretty full dance card for '24,  
7 even '25, particularly with the legacy systems  
8 upgrades, so we can kind of go to a cloud  
9 environment, which we can't run this on a little  
10 server in RTP, right? So we've got to fix that  
11 infrastructure. And that's correcting ten years of  
12 technical debt.

13 When we're done with that, I don't know,  
14 I think probably it's a year, given the speed at  
15 which we're at and that's -- so I would say within  
16 12, 18 months, and I want to talk to Michelle and  
17 Dan Schoeff about when we think we might be able to  
18 start doing, you know, real digital label approvals  
19 and, you know, it's sort of like what is your  
20 question about what will be completed because we're  
21 going to -- this is going to be an iterative  
22 process, it's going to be an agile process, and so  
23 new functionality is going to start to be added as  
24 soon as December for some of that portal experience  
25 that we're shooting for this calendar year as well.

1 I don't know if Michelle has any input.

2 MICHELLE ARLING: I think you got it, Ed.

3 MANOJIT BASU: Thank you.

4 JEFFREY CHANG: Any other comments? We  
5 have six minutes. Don't be shy.

6 ED MESSINA: And my understanding is there  
7 were no sort of questions to table for the PPDC  
8 members. This was sort of an update. We're going  
9 to continue with this subworkgroup. You guys are  
10 going to continue having discussions to add. I just  
11 want to confirm for the PPDC group, you know, are  
12 there any asks, and if they are, what are they and  
13 what were you hoping to gain other than information  
14 sharing from this session, which is great.

15 LISA DREILINGER: I don't think there were  
16 any questions. I think it was more an information  
17 and here's what we plan to do, we plan to take a  
18 second year. This could not all get done in one  
19 year, not that I think anyone here thought that that  
20 was possible. What we're hoping to do in the next  
21 year is continue on the journey of defining the  
22 structured labeling.

23 I'm with Joe. Personally, I think we  
24 should trial the structured label content and see if  
25 it helps, and if it doesn't, where it helps; if it



1 doesn't help, why doesn't it help and how can we fix  
2 it. Again, it's a dynamic document, so trial and  
3 error is going to get us to the best place and I  
4 think we're approaching the time which it's the  
5 right time to do that, at least on a very short  
6 scale.

7           The hope is that nobody objected to this  
8 group going ahead and continuing their  
9 conversations, continuing their data gathering, and  
10 really helping to define, again, the terminology and  
11 potentially being a resource for both Dan and  
12 Michelle and the rest of the team that as you get  
13 your front end and the systems up and running, how  
14 could we help, what discussions and where can we add  
15 value.

16           In the meantime, we're going to continue  
17 talking to our resources, trying to figure out where  
18 the structure of the label really lines up between  
19 the different pesticides. And to Nathan's point,  
20 it's not the first time or the last time that we've  
21 had -- I'm sure it won't be the last time, I should  
22 say, that somebody is asking about the end user and  
23 how the work we're doing is really going to impact  
24 the end user. And while I think we all feel really  
25 passionate about that, I think the information that

1 the end user gets is a direct reflection of what is  
2 submitted and the label that is approved by Federal  
3 EPA.

4 So I know it might seem like it's far away  
5 and that we're really slow, but what we've actually  
6 done is approached this in a very methodical way so  
7 that we could first deal with the information as it  
8 flows through to the consumer. So while I  
9 understand it's somewhat painful and slow and I  
10 respect that and I understand the feedback we have  
11 been given, I stand by the order in which we've  
12 approached this and why we've done it the way we  
13 have in an effort to get the most efficient  
14 information to the Federal EPA, how we use the data,  
15 how we apply it, and then how -- basically, how is  
16 it enforced and then how is it used by end users.  
17 It is the natural flow of the information.

18 So nobody is saying that the information  
19 that goes to the end user is not critical or  
20 important; it's just for where we are in the  
21 process, it's a little bit harder to see, but it  
22 will get there.

23 ED MESSINA: Great. Thanks. I would  
24 suggest this workgroup, as they continue, Michelle,  
25 think about what specific asks for the contractor

1 working with Dan Schoeff in terms of building some  
2 pilot workflows that we want to add to what's called  
3 the backlog -- it's a bad term, but in IT, it's like  
4 things you want to get done, you put on backlog --  
5 so that we can fold it into a sprint and then we  
6 can, maybe at the next PPDC, talk about maybe we  
7 have some ideas for what sprints are and when we're  
8 going to add them to the release cycle.

9 JEFFREY CHANG: We have another comment  
10 from Gary Prescher.

11 (Pause)

12 GARY PRESCHER: Yes, thanks. Here again,  
13 thanks to the workgroup for the effort. As I've  
14 listened to all of your comments regarding NCGA's  
15 view on what you're working on, you seem to be  
16 checking all the boxes that we're talking about  
17 internally, you know, as corn producers. So I just  
18 wanted to say keep up the good work and continue to  
19 reach out to all your stakeholders as you work  
20 through all the challenges here. So from the NCGA's  
21 perspective, good work so far.

22 ED MESSINA: Thanks. And thank you, team.  
23 The other thing I'll mention, too, is much like this  
24 group has approached, you know, sort of the needs on  
25 their end, I would say, particularly for those

1 customers with the data, like our NGOs, farmworkers,  
2 you know, what data do you want access to and how  
3 and when, you know, what's important. Be thinking  
4 about those things so that when we are ready to talk  
5 about that stage, folks have already, you know,  
6 thought about it. And maybe as this group  
7 continues, as it starts focusing on other parts of  
8 this digital process, maybe the PPDC members would  
9 be interested in a workgroup that would tackle that  
10 issue, right. So just keep that in mind as well.

11 JEFFREY CHANG: Great. If that's it for  
12 comments, we can move on to the next section, which  
13 is the Emerging Pathogen Implementation Committee  
14 Update. We will hear from Tajah Blackburn, Senior  
15 Scientists from the Antimicrobial Division in OPP;  
16 Anastasia Swearingen, Senior Director of the  
17 American Chemistry Council, and Rhonda Jones, CEO of  
18 Scientific and Regulatory Consultants, Incorporated.

19 Welcome, all.

20 EMERGING PATHOGEN IMPLEMENTATION COMMITTEE UPDATE

21 TAJAH BLACKBURN: Good afternoon. Let me  
22 get my slides. Is everything visible?

23 JEFFREY CHANG: Yes.

24 TAJAH BLACKBURN: Excellent.

25 Thanks again for the opportunity to

1 provide an update of the amazing work that the  
2 Emerging Pathogen Implementation Workgroup has  
3 completed since we met about six months ago.

4 My name is Tajah Blackburn, and I'm Senior  
5 Scientist in the Antimicrobials Division's Efficacy  
6 Branch at the EPA. Additionally, I serve as one of  
7 the three chairs of the Emerging Pathogen  
8 Implementation Committee, EPIC, as we like to call  
9 it, because of the work we do, we are so  
10 passionately driven towards.

11 Along with Rhonda Jones and Anastasia  
12 Swearingen, we will provide our spring report.

13 There we go. Through the next couple of  
14 slides, I will navigate the conversation through a  
15 brief background, timeline of events, then briefly  
16 share the genesis of the current workgroup  
17 committee. Then, along with the two other chairs,  
18 we will provide small workgroup updates and  
19 accomplishments, with the remaining time for PPDC  
20 questions.

21 The initial workgroup was conceptualized  
22 and proposed to PPDC by the Center for Biocide  
23 Chemistries in the Fall of 2020. The original  
24 proposal envisioned a group charged with conducting  
25 a retrospective analysis of EPA's antimicrobial

1 response to the COVID-19 pandemic.

2 From proposal to reality, the formation of  
3 the initial group, the Emerging Pathogen Workgroup,  
4 was pulled together in December of 2020, with the  
5 first workgroup occurring in early 2021. The  
6 initial group consisted of 20 persons from regulated  
7 industry, academia, trade associations, regulatory  
8 technical consultants, transportation industry, and  
9 the Centers for Disease Control and Prevention, CDC.  
10 These 20 members worked diligently and were  
11 dedicated to addressing four charge questions  
12 through biweekly meetings spanning over a period of  
13 two years.

14 At the workgroup's sunset, greater than 85  
15 recommendations were given to EPA's Antimicrobial  
16 Division to consider, prioritize and, if adequately  
17 developed, implement. Within the Antimicrobials  
18 Division, we did just that. We worked through 85  
19 recommendations. We prioritized the recommendations  
20 and the results of that exercise were presented in  
21 the Spring 2022 PPDC meeting.

22 During that same meeting, PPDC voted to,  
23 number one, form a new group to refine, develop, and  
24 provide a pathway for implementing the  
25 recommendations, and then, secondly, to expand the

1 focus of the EVP to other types of antimicrobial  
2 pathogens. The current workgroup, EPIC, was formed  
3 and operationalized in July of 2022. This group is  
4 scheduled to sunset in November of 2024, after  
5 requesting a year extension during the last fall's  
6 meetings.

7 The implementation group has managed  
8 several of the big-ticket items from the previous  
9 workgroup's 85 recommendations. The other  
10 recommendations are siloed through three small  
11 workgroups within the larger group. The Technical  
12 Small Workgroup has focused on the EVP guidance and  
13 the PPDC's request to expand the EVP to other  
14 antimicrobial pathogens.

15 The Communications/Education Small  
16 Workgroup has gathered and identified community  
17 communication and educational gaps from sectors that  
18 use antimicrobial pesticides. We've prioritized  
19 those gaps and we've begun to develop and consider  
20 tools to address the identified gaps.

21 While the final small workgroup, the  
22 Policy Workgroup, has identified policy change  
23 revisions to better enhance, better clarify policies  
24 centric to the EVP guidance while considering other  
25 possibility for EVP label communication strategies,

1 the small workgroup meetings are typically booked in  
2 by the larger EPIC meeting to bring all members up  
3 to date following the discussions of the smaller  
4 workgroups.

5 I've covered most of the information in  
6 detail on this slide, but what I really, really want  
7 to highlight here are those remaining PPDC requests  
8 from the Spring May '22 meeting. In addition to  
9 creating a new workgroup, PPDC requested an expanded  
10 EVP focus on additional antimicrobial pathogens.  
11 This request was tackled from two different angles  
12 by the Technical Small Workgroup.

13 The first angle was expansion of  
14 antimicrobial pesticide options, coupled with the  
15 expansion of qualifying pathogens for EVP claims.  
16 That is an expanded revised EVP guidance.

17 The second angle tackled expansion of the  
18 EVP template and framework for other microbial  
19 outbreak scenarios where antimicrobial products are  
20 used.

21 The second request angle is currently  
22 underway by the Technical Small Workgroup led by  
23 Rhonda Jones, and she'll provide those updates  
24 shortly. While the first request was delivered by  
25 the Technical Small Workgroup to PPDC and the



1 Antimicrobial Division in May of 2023.

2 In the Antimicrobial Division, again,  
3 similar to what we did before with those 85  
4 recommendations, we completed a line-by-line review  
5 of each proposed change, alongside an implementation  
6 posting plan for this revised expanded EVP guidance.  
7 And all of these efforts were completed around the  
8 Fall of 2023.

9 After that period of time, the  
10 Antimicrobials Division management was briefed in  
11 early 2024, and we decided that, at that time, that  
12 the EVP revisions would be implemented once the  
13 sanitizer-virucidal guidance document is posted,  
14 possibly by the end of 2024.

15 So why are these two documents closely  
16 linked and associated together and why, in essence,  
17 is one holding up the other? Well, several of the  
18 revisions to the expanded EVP guidance are linked to  
19 a novel EPA sanitizer-virucidal guidance that's in  
20 the final stages of development. This new guidance  
21 will represent the first time an EPA-registered  
22 sanitizer will be allowed to support virucidal  
23 claims in the presence of acceptable efficacy data  
24 using existing EPA virucidal standards and methods.

25 So since the revised expanded EVP is

1 anchored to this new novel sanitizer-virucidal  
2 guidance and to avoid the nightmare of multiple  
3 revisions and iteration of this expanded EVP  
4 guidance, the Antimicrobials Division has determined  
5 that the completion of the sanitizer-virucidal  
6 guidance should occur prior to implementing the  
7 expanded revised EVP for optimal clarity and, of  
8 course, this recurrent theme, prudent use of  
9 stretched resources. So, to sum this up, the  
10 revised expanded EVP document is in a holding  
11 pattern for a very short period of time.

12           So these are our core members of the EPIC  
13 Workgroup. This group has been working diligently  
14 in small workgroups and large workgroups to get a  
15 lot of these recommendations developed and  
16 subsequently implemented. And as you can see, the  
17 membership is very diverse across many stakeholder  
18 groups, including industry, federal agency, trade  
19 associations, and consultants.

20           We have also recruited additional subject  
21 matter experts to assist with some of the small  
22 workgroup efforts. These relationships have proven  
23 to be amazing, resulting in some fantastically  
24 exciting scientific discussions, nerd-out events,  
25 what I like to call them, and some exciting

1 deliverables as well.

2           So right now, I will transition to the  
3 Communications/Education Small Workgroup update.  
4 Again, this membership is very diverse, a lot of  
5 brilliant minds come together to better understand  
6 how we take these identified educational  
7 communication gaps and develop tools and resources  
8 to bridge that divide.

9           This slide, I like to say, is an oldie,  
10 but a goodie, because it's been a slide that I've  
11 referenced several times in the past, but I think it  
12 provides excellent context to what we're working on  
13 and why it's important. The original charge  
14 question proposed and addressed by the initial  
15 Emerging Pathogen Workgroup was a deep dive to  
16 determine what education is needed during a pandemic  
17 or other emergency for the public, end users, and  
18 other regulating authorities.

19           The retrospective analysis revealed that  
20 there was ineffective messaging across several  
21 sectors due to information and educational gaps. To  
22 address this gap, this small workgroup, the Comms  
23 and Education Small Workgroup, has served to  
24 develop, identify targeted resources and references  
25 for general and specialized messaging for key

1 sectors at different stages of a pandemic emergency  
2 gathered through planned outreach tools and lessons  
3 learned.

4 To better understand those gaps, we gather  
5 specific information from a broad range of sectors.  
6 We successfully completed this information gathering  
7 phase in August of 2023. This slide kind of  
8 condenses all of that information and gets to the  
9 crux of what those gaps were, and they highlight it  
10 here.

11 During this operational period, the  
12 workgroup prioritized which efforts to work on,  
13 continue working on, to address the previously  
14 identified gaps. So those two circle portions in  
15 the middle of this graph -- or the middle of this  
16 slide, rather, detailed what we focus on as far as  
17 prioritization of informational tools, infographics  
18 to develop, as it relates to many different sectors  
19 because these were recurring themes that typically  
20 showed up during those discussions and the  
21 information gathering sessions.

22 That second circled section highlights  
23 language barriers, dialect issues, and overall  
24 literacy challenges that were exposed during those  
25 discussions with different sectors. And I know Ed

1 highlighted this earlier, but we are excited about  
2 that translated section of key resources for the EVP  
3 guidance and we're working on additional topics and  
4 areas to improve that gap as well.

5           So when we're thinking about the different  
6 tools that are needed to address these gaps, we  
7 wanted to consider not developing something that was  
8 new and novel, but things that are already done,  
9 have been used, that potentially may just be in a  
10 different place and not readily accessible. And so  
11 the first goal was to see, since infographics was  
12 kind of the focus for addressing a lot of these  
13 gaps, what infographics exist, where are these  
14 infographics located, and how can EPA use these  
15 infographics maybe through cobranding or other ways  
16 to get these infographics visible, present, to  
17 bridge a lot of those gaps that were identified.

18           So the Comms and Education Small Workgroup  
19 has been working diligently to determine what that  
20 universe of resources looks like, right? We have  
21 nailed down a couple of the issues for infographics,  
22 working with a couple of stakeholders. The next big  
23 step is to work with EPA's Office of General Counsel  
24 to determine how to successfully utilize these tools  
25 and how to eventually post these tools on EPA's

1 website so they're readily available. Hopefully, in  
2 the fall, fingers crossed, we can provide favorable  
3 news regarding this effort.

4           And then, lastly, I want to highlight -- I  
5 know Ed mentioned this previously, but I just want  
6 to stress it again. This is a labor of love from  
7 this particular group, but back in the Spring of  
8 2021, PPDC requested at least an initial translation  
9 of EVP resources into Spanish. The Spanish  
10 translations were targeted for two major resources  
11 within the EVP framework, and that's the EVP  
12 Guidance website and the instructions for List Q.  
13 These translations were completed in December of  
14 2023. And as recently as last week, the translated  
15 sections were -- these translated sections were live  
16 on EPA's website.

17           We will have future opportunities to  
18 translate and revise other portions of the EVP as  
19 that document becomes revised and is expanded, and  
20 we're also considering other resources that can be  
21 translated for future postings.

22           I will now pass the virtual mic to  
23 Anastasia for the Policy Small Workgroup Update.

24           Anastasia?

25           ANASTASIA SWEARINGEN: Thanks, Tajah.

1           So like Tajah said, we've had a really  
2 engaged small group within the Policy Workgroup of  
3 the EPIC overall. Our members are listed on the  
4 screen.

5           You can move to the next slide.

6           So one of the charge questions that we had  
7 is how to consider how to make it easier for a user  
8 to understand when a product is effective against an  
9 emerging pathogen. As Tajah shared from the  
10 Communications Group, there's a lot of work that's  
11 been done to provide accessibility of the website  
12 for the emerging viral pathogens into Spanish, but  
13 we also considered how can we make it easier at  
14 point of sale for a user to understand whether or  
15 not a product is effective against an emerging  
16 pathogen.

17           And one of the proposals that we've come  
18 up with within the EPIC is the creation of a QR code  
19 that could be triggered when a product is eligible  
20 to show the emerging viral -- that it's effective  
21 against an emerging viral pathogen. And so we  
22 showed at a previous update of this group to the  
23 PPDC what that QR code might look like, how it might  
24 work, and show a menu of options, including the  
25 ability to show bilingual labeling in accordance

1 with the PRIA 5 requirements for Spanish labeling.

2 But right now, all of this work on the QR  
3 code is on hold as we wait for EPA to develop policy  
4 around the use of QR codes, particularly within the  
5 context of bilingual labeling. We really see the QR  
6 code as a valuable tool, so that you don't have to  
7 necessarily create anything new on package, which is  
8 obviously difficult to do when you're triggering in  
9 the emerging viral pathogen policy, which only  
10 allows for that website labeling. But this would  
11 allow users to have quick and accessible information  
12 up to date once the emerging viral pathogen policy  
13 is triggered for those applicable products.

14 So the next slide.

15 So the other aspect that we looked at over  
16 the last few months within the policy subgroup is  
17 how do we improve the Section 18 process for a  
18 public health emergency. And what we saw during the  
19 COVID-19 pandemic was that there was a huge  
20 influx of Section 18 applications for products that  
21 could be efficacious against COVID, but weren't  
22 registered products. So we know that most of the  
23 Section 18 training -- and there's a tremendous  
24 amount of Section 18 resources that have been  
25 developed including a checklist -- but it's really



1 focused more on those regional outbreaks that are  
2 more in the agricultural pest space.

3 So we wanted to figure out how can we  
4 improve this process and make it easier for  
5 applicants for Section 18 applications for a public  
6 health emergency to understand what type of  
7 information is most useful for EPA. So we've had  
8 some discussions, including with the folks in EPA  
9 who were responsible for reviewing those Section 18  
10 applications during the pandemic, and got some good  
11 ideas for what information could be most helpful to  
12 include for those public health products.

13 We think it would be a really great  
14 addition to the existing Section 18 trainings to  
15 have modules that are specific to a public health  
16 pandemic. But we recognize that that is going to  
17 take significant resources from EPA to develop those  
18 modules and that those were done through a grant to  
19 an outside organization previously. So it continues  
20 to be a recommendation from this group, but we  
21 recognize that it's on hold pending more EPA  
22 resources.

23 And I think that is the end of my part of  
24 the slides. So I'm going to turn it over to Rhonda  
25 Jones to continue with the Technical Workgroup.

1           RHONDA JONES: All right. Thanks,  
2 Anastasia.

3           Go ahead, Tajah, and advance one more.

4           Similar to what Tajah said, this team  
5 continues to expand. As we have gone through the  
6 different microbe types, CDC has added a number of  
7 additional staff. Dr. Joe Sexton, Dr. Judith  
8 Noble-Wang. We've also had Branch Chief Rebecca  
9 Pines from EPA BEAD Microbiology Lab join us, as  
10 well as some additional industry folks having the  
11 necessary expertise as we proceeded down through the  
12 different microbes.

13           I can't thank this team enough. They have  
14 been with us for several years now, meeting every  
15 other Thursday, which is, you know, a significant  
16 volunteer time. And outside of the meetings,  
17 they're always sending additional journal articles  
18 and references and ideas to me as well. So many  
19 thanks to all of these very busy, important people  
20 that would take the time out to be part of this  
21 effort.

22           Go ahead, Tajah.

23           So a quick overview on where we're at  
24 really. There were five documents or policies you  
25 asked us to prepare, one for each microbe type, and

1 then, along the way, the experts had a lot of ad hoc  
2 recommendations about test methodology, test  
3 strains, et cetera. So I've captured those.  
4 They'll go in a sort of separate general  
5 recommendations report to EPA as well.

6           So I'm thrilled to tell you that we have  
7 finished drafting the policies for EPA for all of  
8 the microbe types except bacteria. We've finished  
9 consensus building on the bacteria and are now in  
10 the drafting phase. So I'm hoping that will finish  
11 by August, and also the general recommendations  
12 report tracking right behind that.

13           With all of these, we start out first with  
14 a public literature review and a sharing of all the  
15 diverse group of experts that we have on the call.  
16 We have the EPA test lab; we have the CDC test labs.  
17 We have a number of the key contract laboratories  
18 that do this testing for industry, as well as many  
19 industry members who have laboratories that they  
20 themselves use to test in the United States, as well  
21 as in other countries, all bringing this information  
22 forward to us.

23           So we review that cache of information  
24 and then proceed forward to build consensus on the  
25 recommendations for the various prerequisite claims

1 that could support the idea of a pre-registered  
2 claim for a future emerging pathogen. And those  
3 decisions, consensus-building decisions, are found  
4 in your appendix in great detail, surface type by  
5 surface type, microbe type, et cetera. And that is  
6 the work that went into drafting these policy  
7 documents.

8 Go ahead, Tajah.

9 So just a little more detail. Tajah  
10 pretty much covered where the viral stands. It's  
11 been written and out of the committee's hands for  
12 some time. As EPA went through each recommendation,  
13 there was a series of interactions on asking  
14 questions and citations and those types of things.  
15 We understand that EPA has accepted the majority of  
16 the workgroup's recommendations, and we look forward  
17 to it to be published behind the viral sanitizer  
18 policy, as was decided.

19 As far as the technical changes made to  
20 this document, really the viral prerequisites that  
21 have been being used since the 2009 version of this  
22 remained the same, but we did add a number of  
23 additional organisms that could be prerequisites and  
24 we dramatically changed a lot of the registration  
25 documents and the process there as well.

1           And we kept that same process as we went  
2           into the next four and five microbe types, all with  
3           the sporeformers, the mycobacteria, the fungi, and  
4           the yeast, which we were able to pair together in a  
5           single document. Those drafts have now been  
6           submitted to EPA to start that same review process  
7           that Tajah walked you down through earlier. So the  
8           workgroup is just awaiting the questions that we  
9           expect to come as came in the prior documents, as  
10          well to collaborate with that, and the workgroup  
11          also gladly will help with responding to public  
12          comments once these are published for public  
13          comment.

14                 From the standpoint of the technical area,  
15                 we really were starting brand new. We didn't have a  
16                 preexisting policy like with the viruses. So we  
17                 went through and established prerequisites for all  
18                 the different surface types where it was possible  
19                 and we also covered all types of microbes. So for  
20                 the fungi, can tuberculocidal claims cover fungi,  
21                 can sporadicidle claims predict for efficacy in  
22                 these areas, and went through each microbe type  
23                 against the microbe types to determine where those  
24                 predictive possibilities are that can have strong  
25                 support for this preregistered claim.

1           In some cases, we didn't feel like there  
2           was strong support either from the literature or  
3           from our experience, and in those cases we've  
4           declined to offer that as supporting evidence for a  
5           prerequisite. There were a few things that fell in  
6           a gray area where we felt like we did not have  
7           sufficient evidence to support a recommendation in a  
8           national policy, but we did provide advice to the  
9           agency or will provide advice to the agency where,  
10          in the case of a serious supply chain issue where  
11          there isn't sufficient product to meet the need,  
12          some areas where we thought they could step out a  
13          little bit further to add more products by using  
14          other prerequisites.

15                 This is very similar to what was done and  
16                 has been historically done by EPA as there's reports  
17                 from the field that there's insufficient product to  
18                 go along. So we did offer those -- we called them  
19                 case-by-case recommendations where EPA would have  
20                 this consideration internally, and then could  
21                 advance the types of products that could be used in  
22                 this way via the website tool as needed.

23                 And in some cases, particularly in the  
24                 sporeformers, they are at sort of the top of the  
25                 food chain, very difficult to kill, we don't have

1 many registered, and so to say what we can predict  
2 for a sporeformer was very, very challenging. So of  
3 all of the categories we've done so far, this is the  
4 one where we will have the fewest products available  
5 to us.

6 We have proposed some new test organisms  
7 and some new test strains for companies that would  
8 like to join in this area so that we do have more  
9 items accessible to us in the case of a future  
10 pandemic in this space.

11 As I said earlier, the bacteria is still  
12 very much underway. The consensus building just  
13 finished last week, and we are getting the drafting  
14 of the policy underway. So hoping to have that  
15 draft out to the workgroup for review, oh, maybe by  
16 the first of July, and hoping to have the iterations  
17 of those drafts and stuff done and over to EPA in  
18 August.

19 With that, I believe we are concluding,  
20 unless, Tajah, do you have any final comments, or  
21 Anastasia?

22 TAJAH BLACKBURN: Nothing additional for  
23 me. I think this wraps up the work that's been  
24 completed over the last six months, and  
25 highlighting, of course, some of those things that

1 were still in the pipeline that we worked through  
2 during this period of time. So we now can address  
3 any questions or comments that PPDC has. Thank you.

4 JEFFREY CHANG: Thank you, EPIC team. We  
5 can now move it over to the discussion period.  
6 Please raise your hand and I will call you.

7 Lisa?

8 LISA DREILINGER: Thank you. So first, I  
9 just want to say thank you to another very  
10 passionate PPDC workgroup that I've been lucky  
11 enough to be a part of, but I've not really arguably  
12 contributed technically on this last round, because  
13 it's way above my head. But I have enjoyed the  
14 discussions that I've been a part of and I've  
15 enjoyed watching the final document come through and  
16 commenting on it.

17 My question is really for I'm not sure who  
18 or for discussion for the PPDC. So obviously, the  
19 viral sanitizer document is slated for, I believe,  
20 later this year and then the recommendations for the  
21 viral emerging pathogen document, as Rhonda noted,  
22 would be following that, and then there's the yeast  
23 and fungi document. But we have obviously not  
24 talked about bacteria, which are also, I would say,  
25 a concern often. I mean, I see alerts come through



1 all the time for food that's contaminated or other  
2 -- obviously, we're not worried about food, but like  
3 general outbreaks of bacteria. Those are not  
4 emerging. Obviously, there is emerging bacteria as  
5 well.

6           And I guess what I'm trying to figure out  
7 is where we go from here. This group is going to  
8 sunset and the work's been so critical and so  
9 important to the future of where we're going and how  
10 we want to be ready to deal with the next emergency,  
11 whatever that looks like, and I guess what I'm  
12 trying to figure out is, one, does there need to be  
13 a workgroup formed to discuss emerging bacteria, and  
14 the second is, how are we going to make sure, after  
15 this group is disbanded, that the work that they've  
16 done gets published, and if EPA needs support in  
17 order to do that, how are they going to go about it?

18           Maybe it's a Tajah question; maybe it's an  
19 Ed question; maybe it's a conversation for PPDC or  
20 maybe it's requiring a vote of some sort to figure  
21 out if we're ready to redirect this group but maybe  
22 not disband it.

23           TAJAH BLACKBURN: And I can just step in  
24 briefly, because we've had those conversations all  
25 along, because -- I mean, not only do I enjoy the

1     nerd sessions and what happens when we have those  
2     discussions, I mean, because they're really, really  
3     exciting, but, you know, where do we go from here is  
4     the mindset. And I guess we can't operate in  
5     perpetuity under PPDC, but are there provisions or,  
6     you know, other opportunities that we can work  
7     outside and still have, you know, aspects of this  
8     group meet occasionally to address questions that  
9     come up and, as Rhonda mentioned, this  
10    back-and-forth exchange that we had with the revised  
11    expanded EVP.

12                 So we are thinking about those types of  
13    things. We don't -- when it sunsets in November, we  
14    don't want the group just to totally disband. We  
15    want to still have, you know, an opportunity to  
16    engage with that group. But we are kind of  
17    preparing and having those conversations now.

18                 But if PPDC, Ed, others, can think of  
19    other directions in which the group can go, then we  
20    would definitely like to entertain those as well.  
21    Thanks, Lisa.

22                 LISA DREILINGER: Thanks, Tajah. I think  
23    what I was thinking of -- I remember when we voted  
24    on it, I guess it was last November, we voted on  
25    continuing and going outside of just viruses,

1 right, and I love where we ended up, but we didn't  
2 do everything outside viruses. We only did one next  
3 subset. So is there still that energy to talk more  
4 about what an outbreak for bacteria looks like or  
5 are we going to stop at spores or is it enough. It's  
6 really, I guess, for discussion.

7 RHONDA JONES: Yeah, Lisa, I just want to  
8 jump in here, too, and just clarify with everybody.  
9 A far as the workgroup coming to consensus on a  
10 recommendation and drafting the future EPA policy,  
11 we have completed everything at this point and moved  
12 it to EPA, except for bacteria, but we will finish  
13 bacteria before we sunset in November.

14 LISA DREILINGER: Okay.

15 RHONDA JONES: That doesn't get us through  
16 the whole part of the EPA process, but at least the  
17 consensus building of the expert part will be done,  
18 so just to be clear about that.

19 LISA DREILINGER: That's good. Thank you.

20 JEFFREY CHANG: Ligia?

21 LIGIA DUARTE: Thank you. I just want to  
22 support what Lisa was saying. I would definitely  
23 support the continuation of the work that this  
24 workgroup has done. It's very critical. But I also  
25 wanted to just urge EPA to expedite the review of

1 the recommendations being proposed by this  
2 workgroup. I think in light of emerging pathogens,  
3 it's crucial to have these effective tools in place  
4 and measures readily available in case of another  
5 public health emergency. And so recognizing  
6 resource shortages, I'd just encourage prompt action  
7 from the agency to ensure that we're better prepared  
8 in the future.

9 Thank you.

10 JEFFREY CHANG: Ed?

11 ED MESSINA: Yeah, just to shed some light  
12 on kind of the process part of this. So, you know,  
13 the advantage of a FACA, which is what we have here  
14 is it's an opportunity where a federal agency can  
15 actually get consensus opinion or get opinions from  
16 multiple stakeholders and through the FACA process,  
17 you know, have that be treated out in the open with,  
18 you know, the sunshine it deserves and everyone sort  
19 of getting to see how that process works. That's  
20 the advantage.

21 The subgroups are great, because what they  
22 can do is -- and they are informal under the FACA  
23 rules. They are recognized. They are there to  
24 advise the larger FACA group, PPDC members in this  
25 case, on, you know, recommendations that then the

1 PPDC group can then vote on and then forward to the  
2 agency.

3           They are supposed to be short-term and  
4 discrete parts of that process. So the longer that  
5 they sort of last or stick around and then start  
6 grabbing, you know, additional sort of charge  
7 versions, then you run into the need to actually  
8 establish an official subworkgroup under the FACA,  
9 which then has processes where, you know, people get  
10 appointed, they get reviewed, right? So that's an  
11 option.

12           The other option, which we've done in this  
13 case, is to disband the prior workgroup once those  
14 charge questions are done, and then have the PPDC  
15 recommend and pass whether a different workgroup  
16 dealing with similar issues, but different  
17 components of that issue, is formed and then takes  
18 that charge on. And that's essentially what  
19 happened with this group, which is first there was  
20 the development of the EVP, which helped us actually  
21 be responsive to COVID, right. So an example of how  
22 this PPDC group and FACA has really helped the  
23 agency in many cases and, in particular, being  
24 responsive to COVID, because we had developed a  
25 emerging viral pathogen policy before COVID hit and

1 we were able to activate it, which was amazing,  
2 right?

3 So the question would be once November  
4 passes, if there's interest in a different aspect  
5 from PPDC members to have a subgroup look at, that's  
6 well within sort of the purview of this group. So I  
7 just wanted to interject some process parts to this.  
8 So again, thanks for the work and -- and is there  
9 anything -- are there questions or things that need  
10 to get forwarded to the agency from the  
11 subworkgroup?

12 It looks like maybe the next one -- the  
13 next PPDC meeting, you will present the final report  
14 and then seek its motion to get forward to the  
15 agency, and then also seek to sort of end the  
16 November -- you know, seek to end this committee,  
17 and then maybe there is a motion to form a new one  
18 that looks at a different charge question. That's  
19 maybe something you guys could think about in the  
20 next six months before the next PPDC meeting.

21 JEFFREY CHANG: Anyone else? We do have  
22 seven minutes, so...

23 ED MESSINA: We have seven minutes and  
24 we haven't scheduled a break for anyone until 5:00  
25 p.m. So maybe, Jeffrey, we can taken advantage of

1       that.

2               JEFFREY CHANG:  There's a five-minute  
3       break at 3:30.

4               ED MESSINA:  Oh, there is?

5               JEFFREY CHANG:  Yeah.

6               ED MESSINA:  At 3:30, oh, okay.  Got it.

7               (Pause)

8               JEFFREY CHANG:  Maybe we'll just call on  
9       people by alphabetical --

10              ED MESSINA:  No, I think whatever  
11       discussion needs to happen can happen.  If we'd  
12       done, we can give people a break and then come back  
13       for the Emerging Pesticide Resistance Management  
14       Workgroup 2, because there was a Workgroup 1.

15              JEFFREY CHANG:  All right.  Okay.  Well,  
16       we can take a break for, I guess, 10, 11 minutes,  
17       and then return at 3:35 for the next workgroup.  
18       Thank you.

19              ED MESSINA:  Thanks, everyone.

20              (Break)

21              JEFFREY CHANG:  Okay.  Let's now pivot for  
22       an update from our Pesticide Resistant Management  
23       Workgroup.  For that we are joined by Nikhil  
24       Mallampalli, Biological and Economic Analysis  
25       Division in OPP, and Cameron Douglass with USDA,

1 Office of Pesticide Management Policy. Welcome.

2 PESTICIDE RESIDENT MANAGEMENT #2 WORKGROUP UPDATE

3 CAMERON DOUGLASS: Thank you, Jeffrey.

4 Thank you, everyone. Let me share my screen.

5 All right. Hopefully, everything is good.

6 So good afternoon, PPDC. Thanks for the opportunity  
7 today to present the work of the second Resistance  
8 Management Workgroup.

9 JEFFREY CHANG: Sorry, I don't see your  
10 slides.

11 CAMERON DOUGLASS: Oh, no. Let me try  
12 again. Did that work?

13 JEFFREY CHANG: Yep.

14 CAMERON DOUGLASS: Okay. Better. All  
15 right. So what I'll be presenting today is a  
16 summary of the recommendation that we've detailed in  
17 our workgroup's final report work, which was shared  
18 with the PPDC membership on Monday. So hopefully,  
19 folks have had a little bit of a chance to look  
20 through that.

21 So what we're presenting today is not an  
22 update, as was mentioned in the agenda. It really  
23 reflects the culmination of the work of this  
24 workgroup. And at this end of this presentation,  
25 I'll ask that the PPDC vote on allowing this



1 workgroup to submit our final report to EPA and also  
2 to sunset our workgroup.

3 So I wanted to begin by taking a quick  
4 moment to thank the 20 individuals who participated  
5 in this workgroup over the course of the past 18  
6 months or so. We've been very fortunate to have a  
7 diversity of views and perspectives represented by  
8 our members and I think that really shows in our  
9 recommendations, as does all of their hard work.

10 So it likely goes without saying to those  
11 who are PPDC members, but pesticide resistance is a  
12 growing problem with increasing and real  
13 consequences regardless of the affected sectors. As  
14 an example, in agriculture, we're already starting  
15 to see cases of resistance that are resulting in  
16 increased production costs and significant changes  
17 to production practices, not to mention changes, and  
18 some would argue, increased exposure to farmworkers  
19 and adjacent communities from use of some  
20 agricultural pesticides.

21 Similarly in the public health realm,  
22 we're seeing an increasing number of cases and  
23 increasing concerns with antibiotic resistant  
24 microbes. All of these issues, this workgroup would  
25 argue, are tied back to failing to successfully

1 manage pesticide resistance on a collective basis.  
2 Given that this is PPDC, the focus today is on what  
3 EPA could be doing to better address resistance  
4 management in the view of this workgroup.

5           And so we want to argue today that EPA  
6 needs to prioritize resistance management alongside  
7 their important work on the Endangered Species Act  
8 and other current agency priorities. Effective  
9 resistance management would, in our view, not only  
10 directly align with EPA's longstanding mission of  
11 protecting both human and environmental health by  
12 optimizing and, arguably, minimizing overall  
13 pesticide use, but could actually reduce the OPP's  
14 long-term workload by diminishing the constant need  
15 for new products to be registered as old ones simply  
16 become ineffective.

17           Resistance management is not a new issue  
18 for PPDC, as you can tell by our workgroup's title,  
19 and this is the second workgroup to be working on  
20 this topic. The first workgroup was stood up in  
21 2021, and after working on the issue for over a  
22 year, issued a report in 2022 that made five  
23 recommendations. These five were: That EPA should  
24 explore changes in pesticide labels; second, that  
25 EPA should conduct a thorough review of EPA policies

1 and regulations that impact resistance management;  
2 thirdly, the EPA should expand collaboration and  
3 outreach efforts with other federal agencies, such  
4 as USDA, the Centers for Disease Control and Fish  
5 and Wildlife Service; fourthly, that EPA should  
6 explore cooperative agreements, updated training  
7 materials and grant programs; and, finally, that EPA  
8 should explore the creation of incentive programs to  
9 promote resistance management.

10           Following the discussion of the  
11 presentation of these recommendations, PPDC members  
12 at the time expressed interest in having another  
13 workgroup continue the effort to that first  
14 workgroup, and that was the genesis of our  
15 workgroup.

16           Our workgroup was approved by PPDC in the  
17 spring of 2022, so about two years ago, with the  
18 following three charge questions: Assist EPA in  
19 developing implementation strategies from the first  
20 workgroup recommendations; secondly, to develop a  
21 framework for the quantification of risks and  
22 benefits from resistance to conventional active  
23 ingredients; and, finally, to explore leveraging,  
24 integrated pest management, or IPM, strategies for  
25 resistance management.

1           Because of the COVID-19 pandemic and  
2 changes in PPDC leadership at the time, it took our  
3 workgroup a little while to really get going.

4 Indeed, we have really only been meeting regularly  
5 and working in earnest on our recommendations for  
6 the past year or so.

7           In that time frame, though, I think we've  
8 come up with an ambitious and far-reaching set of  
9 specific recommendations for EPA. With an eye  
10 towards tying our recommendations back to the  
11 original charge questions issued to us by PPDC, we  
12 tried to group our more specific recommendations  
13 into several themes that we think directly address  
14 the charges put to us by PPDC.

15           So in response to the charge questions  
16 asking us to assist EPA in further implementing  
17 recommendations from the first workgroup, we've  
18 identified a number of specific recommendations to  
19 better strengthen internal and external  
20 relationships that could support EPA's resistance  
21 management efforts, and perhaps, most importantly,  
22 we would recommend creating a specific position  
23 within the Office of Pesticide Programs who could  
24 help coordinate these efforts internally and  
25 externally.

1           In response to the second charge question  
2           that asked us to develop a pesticide resistance  
3           cost-benefit analysis framework, we have not only  
4           done so, but we've gone a little bit further and  
5           provided recommendations as to how EPA could  
6           prioritize which active ingredients would best  
7           benefit from these analyses. And some additional  
8           recommendations also suggest how EPA could work with  
9           external stakeholders to improve sources of data on  
10          pesticide resistance to support these analyses.

11          Lastly, integrated pest management, or  
12          IPM, really became a central theme across almost all  
13          of our specific recommendations, but we more  
14          specifically make several recommendations to EPA on  
15          how we believe the agency could better encourage the  
16          commercialization of unconventional pesticides,  
17          including biological control agents, biopesticides,  
18          and devices. So as I go through our specific  
19          recommendations, I'll present them in the context of  
20          these four recommendation themes.

21          Also, as I walk through these more  
22          specific recommendations on the following slides,  
23          keep in mind that in response to requests from EPA  
24          management, we have both categorized our specific  
25          recommendations according to the workgroup's

1 perception of the ease of implementation in the  
2 context of both resources and time, but also  
3 complexity. And, again, in response to EPA  
4 requests, have tried to prioritize our specific  
5 recommendations for those that we think are most  
6 important, simply. Recommendations that we think  
7 are the highest priority are bolded on the following  
8 slides.

9           So beginning with our first theme of  
10 strengthening partnerships, we have three specific  
11 recommendations that the workgroup believes are both  
12 minimally challenging for EPA and high priorities.  
13 Firstly, as many of you know, EPA already has formal  
14 relationships in the form of liaisons to several  
15 professional or scientific societies, including the  
16 American Phytopathological Society, the  
17 Entomological Society of America, and the Weed  
18 Science Society of America.

19           These relationships have unarguably been  
20 very constructive both for EPA and for the academic  
21 societies that the liaisons represent. And the  
22 workgroup would suggest that there are other  
23 professional societies that EPA should establish  
24 similar formal relationships with, two examples of  
25 which could include the Agricultural and Applied

1 Economics Association and the American Public Health  
2 Association.

3 More broadly, we recommend that EPA  
4 leverage relationships with professional scientific  
5 societies to more collaboratively and proactively  
6 work on resistance management, including developing  
7 a better understanding of pest management practices  
8 for pesticide resistance management across  
9 disciplines, and also for EPA to hold internal  
10 discussions as to how BMPs produced by these  
11 professional societies could be better reflected on  
12 pesticide labels.

13 Secondly, staying within this theme of  
14 strengthening partnerships, EPA also has existing  
15 relationships with industry-affiliated resistance,  
16 action committees and has long collaborated with  
17 these RACs in the past on important labeling  
18 improvements. Looking forward, this workgroup would  
19 suggest that there are additional opportunities for  
20 EPA to work with the RACs on how to foster  
21 innovation and resistance management, either through  
22 jointly designed grant programs or community-based  
23 resistance management networks as just two examples.

24 Similarly, our workgroup would broadly  
25 recommend that EPA could work more proactively with

1 federal partners and other external stakeholders who  
2 are already working on resistance management  
3 education and training to ensure the pesticide users  
4 are consistently receiving the highest quality  
5 information on current best practices for resistance  
6 management. Along these same lines, we believe  
7 there are opportunities for EPA to collaborate with  
8 external stakeholders who offer grants to better  
9 ensure that these funding opportunities really  
10 foster innovative pest management -- pesticide  
11 resistance management tools. Such stakeholders not  
12 only include commodity groups and  
13 applicator-affiliated organizations, but also  
14 USDA-funded regional IPM centers and academic  
15 consortia, such as the Center for Regulatory Science  
16 and Agriculture.

17 JEFFREY CHANG: Cameron?

18 CAMERON DOUGLASS: Yes.

19 JEFFREY CHANG: Do you mind just slowing  
20 down your speech a little for our translators?  
21 Thank you.

22 CAMERON DOUGLASS: Of course. Sorry. We  
23 have two recommendations also in the vein of  
24 strengthening partnerships, that the workgroup  
25 believes would be much more challenging for EPA to



1 implement. The first of these is the recommendation  
2 that EPA, leverage existing participation in the  
3 Federal Integrated Pest Management Coordinating  
4 Committee, which is chaired by my Office of Pest  
5 Management Policy colleague, Alyssa Arnold, to  
6 request the initiation of a national roadmap for  
7 pesticide resistance management that would better  
8 ensure coordination across federal agencies and  
9 departments on resistance management issues.

10           Years ago, this committee, the FIPMCC, led  
11 the development of the national roadmap, for  
12 integrated pest management, which has arguably been  
13 instrumental and very useful in promoting IPM  
14 adoption and progress within the Federal Government.

15           Our final recommendation in the theme of  
16 strengthening partnerships is, in the workgroup's  
17 view, perhaps most critical to ensuring that any of  
18 the other workgroups' recommendations are actually  
19 successful, and this would be the creation of a new  
20 position or perhaps, more realistically, shuffling  
21 of existing FTEs or position equivalents to create  
22 what we are calling a Resistance Management  
23 Coordinator within the Office of Pesticide Programs.  
24 There are precedents already for this type of  
25 position within the Office of Pesticide Programs,

1 including point people who have been designated to  
2 lead coordination on Endangered Species Act and  
3 e-labeling efforts.

4           And this workgroup believes that the  
5 creation of this Resistance Management Coordinator  
6 would be key moving forward to OPP's ability to  
7 strengthen existing partnerships and build the new  
8 ones that will be critical to successful progress on  
9 resistance management. In addition, this  
10 coordinator could be critical to ensuring internal  
11 accounting for resistance management and assessments  
12 and decisions.

13           So shifting gears a little bit, the next  
14 theme of our recommendations was developing a  
15 cost-benefit analysis framework for use by EPA, so  
16 that the agency can, in some cases, quantitatively  
17 incorporate resistance into its weight of evidence  
18 approach that it uses for regulatory  
19 decision-making. We have two specific  
20 recommendations within this theme, the first of  
21 which is to suggest that EPA collaborate proactively  
22 with regional IPM centers on the development of crop  
23 profiles and pest management strategic plans that  
24 explicitly, and when relevant, quantitatively  
25 account for the costs or benefits of pesticide

1 resistance.

2           These crop profiles and PMSP documents are  
3 regional and crop-specific production guides  
4 produced by these regional IPM centers in  
5 collaboration with producers and academics and are  
6 already very valuable sources of information on pest  
7 management and IPM. But we see these documents as  
8 potentially being important sources of information  
9 on how growers and regulatory agencies, such as EPA,  
10 could better account for pesticide resistance.

11           The second specific recommendation in this  
12 theme is that EPA quantitatively account for  
13 resistance management implications in appropriate  
14 regulatory decisions. Members of our workgroup, led  
15 by Dr. George Frizvold from the University of  
16 Arizona have developed a framework for how EPA could  
17 go about doing such a cost-benefit analysis and has  
18 also proposed a prioritization system for helping  
19 EPA decide which active ingredients might warrant  
20 and most highly benefit from this type of analysis.  
21 This prioritization scheme reflects an appreciation  
22 for EPA's need to maximize its resources and the  
23 benefit of conducting these cost-benefit analyses  
24 only when they can be most impactful.

25           As our workgroup deliberated on our

1 recommendations and, in particular, discussed the  
2 recommendation that EPA needed to more  
3 quantitatively account for the costs and benefits of  
4 pesticide resistance, the concern was raised that  
5 existing sources of data on the occurrence of  
6 pesticide resistance are not optimal to support  
7 either quantitative accounting of pesticide  
8 resistance by EPA or, arguably, to effectively  
9 support the real-time management of resistance when  
10 it occurs in fields, public health care settings, or  
11 really anywhere that pesticides are used.

12           So our workgroup ended up making several  
13 recommendations that touch on how we believe EPA  
14 could improve existing data on pesticide resistance.

15           Firstly, we suggest that EPA ensure that  
16 they are comprehensively reporting in the incident  
17 database system, which we would applaud EPA for  
18 recently making public and available online, data  
19 that is already submitted by pesticide registrants  
20 in fulfillment of their obligation under FIFRA 682,  
21 to report confirmed cases of resistance as adverse  
22 incidents. We would also suggest that EPA could  
23 proactively work to understand, and when  
24 appropriate, help support new pesticide resistance  
25 surveillance tools.

1           Ed, earlier, and Mano and other PPDC  
2 members referred to a lot of the work that is going  
3 on with antimicrobial resistance and there's a tool  
4 called the National Antimicrobial Resistance  
5 Monitoring System, co-run by FDA and CDC, that has  
6 existed for decades in health care, and our  
7 workgroup believes this NARMS tool could serve as a  
8 model for the development of similar surveillance  
9 tools in agriculture and other industries where  
10 pesticides are used.

11           Relatedly, we would recommend that EPA  
12 work with federal partners and other external  
13 stakeholders to collaborate on the standardization  
14 of field level checklists that could be used to  
15 screen suspected cases of resistance. These types  
16 of decision support tools are already in use by many  
17 agronomists in agriculture and by practitioners  
18 in public health care settings and represent the  
19 reality that pesticide users and others dealing with  
20 resistance in real time often cannot wait for  
21 confirmation of resistance in laboratories or  
22 greenhouses. They have to make practical and rapid  
23 decisions on how to respond to cases of resistance  
24 based on their experience and evidence that they see  
25 in their fields.

1           Standardization of such decision support  
2 tools could be useful in helping to practically  
3 manage resistance and could possibly inform broader  
4 work on the development of a pesticide resistance,  
5 surveillance system for agriculture and other  
6 sectors of our economy in which pesticides are used.

7           The final theme of our recommendations  
8 most directly embodies the IPM principles that we  
9 feel are suffused throughout many of our  
10 recommendations. Our workgroup would argue that in  
11 order to support management of pesticide resistance,  
12 which is worse with conventional pesticides, EPA  
13 needs to ensure that they are facilitating  
14 innovation and commercialization of nonconventional  
15 pesticide pest management tools.

16           So we first recommend that EPA undertake a  
17 critical assessment as to whether existing  
18 regulatory incentive programs, such as the reduced  
19 fees that we see for registration of some biological  
20 control agents or biopesticides through BPPD, or the  
21 Biopesticides and Pollution Prevention Division, in  
22 the EPA are adequate, and whether additional  
23 incentives, such as expansion of currently limited  
24 voucher programs could better promote  
25 commercialization of nonconventional active

1 ingredients and pesticide devices.

2 Another critical but, arguably, minimally  
3 challenging recommendation we make is that EPA needs  
4 to expeditiously publicize updates to the process  
5 for additions to the list of minimum risk pesticides  
6 under FIFRA Section 25B. Three years ago, EPA  
7 published a notice in the Federal Register asking  
8 for public comment on a proposal to update the 25B  
9 list and make the process for doing so more  
10 efficient. But there's been no update from EPA on  
11 this effort since.

12 In this workgroup's view. FIFRA 25B, the  
13 list of minimum risk pesticides offers an ideal  
14 pathway to legal use of some nonconventional  
15 pesticides, such as pathogens with specificity for  
16 certain weeds for whom there's limited commercial  
17 viability, very little risk, and enormous potential  
18 for public benefit.

19 To round out this theme, our workgroup  
20 recommends that EPA broadly work to improve  
21 partnerships with external stakeholders to  
22 facilitate the development and -- sorry, the  
23 development of nonconventional pesticides and  
24 pesticide devices. There is rapidly increasing  
25 interest in the biological control of pests in

1 biopesticides and in innovative RENI-based pest  
2 control technologies, but very little knowledge  
3 amongst those innovating in these fields of the  
4 potential regulatory requirements for legally  
5 commercializing such tools.

6           There is lots of investment in these  
7 nonconventional pesticide -- pest control tool and  
8 proactive outreach and education with these  
9 industries by EPA could help to ensure efficient  
10 review and commercialization of these tools within  
11 the guardrails of EPA's existing regulatory system.

12           Relatedly, we would recommend that BPPD  
13 consider forming a classification committee to guide  
14 nonconventional pesticides through the registration  
15 process. This could be even an expansion of the  
16 current cross-division, bioclassification committee  
17 that already exists between BPPD and the Registration  
18 Division.

19           To conclude, we want to collectively  
20 reiterate that pesticide resistance poses real  
21 threats to sectors of our society that we all depend  
22 on, whether it's agriculture or public health and  
23 that resistance is already affecting all of us  
24 whether we acknowledge it or not. This problem is  
25 growing because we aren't doing enough to



1       constructively address pesticide resistance. Time  
2       and time again, we have seen that resistance  
3       management only becomes a priority when it's too  
4       late arguably to effectively do anything about it.

5               The upside, though, and to try to end on a  
6       positive note, is that we actually know a lot about  
7       how to successfully manage resistance and generally  
8       we find that those solutions that work are  
9       multi-disciplinary and grounded in principles like  
10      integrated pest management that are already widely  
11      adopted. So hopefully, this workgroup's  
12      recommendations can spur on some progress by EPA on  
13      resistance management and inspire the rest of us  
14      collectively to critically assess what more our own  
15      organizations could be doing to not only help EPA,  
16      but, in our own views, to promote pesticide  
17      resistance management.

18             With that, I'll close and both happily  
19      take any questions that PPDC members have of our  
20      workgroup's work and also ask that PPDC consider two  
21      motions, allowing us to submit our final report to  
22      EPA for their consideration and, secondly, a request  
23      to sunset the work of this second version of the  
24      resistance management workgroup.

25             JEFFREY CHANG: Thank you, Cameron.

1 Ed, should we go into the motion first?

2 ED MESSINA: Discussion first, Jeffrey,  
3 and then we can do motions if anyone wants to make a  
4 motion.

5 JEFFREY CHANG: Okay. Got it.  
6 Understood.

7 ED MESSINA: Thanks.

8 JEFFREY CHANG: All right. We will go  
9 into the discussion period now. If you could raise  
10 your hand and I will call on you.

11 Rosemary Malfi?

12 ROSEMARY MALFI: Hi, Cameron, thank you so  
13 much for the presentation. That was  
14 super-informative and very interesting and, in some  
15 ways, I feel like resistance management is something  
16 that kind of is a commonality for all of us, right?  
17 Like everyone is concerned about that problem  
18 because it makes our tools less effective and  
19 because it poses an issue for pesticide reduction.  
20 And I really appreciate the way that you laid that  
21 out. It was very, very organized.

22 I think some of the questions that came up  
23 for me -- and I am a newcomer here, so forgive me if  
24 I'm asking things that folks already know. But you  
25 mentioned incentives and like a voucher program and

1 I'm kind of curious to hear a little more detail  
2 about the ways you think those kinds of tools could  
3 be used to, you know, promote integrated pest  
4 management and alternative practice.

5 And then I guess a second piece of that,  
6 which I don't know if you can answer or if maybe Ed  
7 would be able to answer that. I know there was an  
8 MOU between EPA and USDA and it just strikes me that  
9 some things might be outside of the exact purview of  
10 EPA that would really tackle this problem, right?  
11 Like we need farmers, growers to adopt some of these  
12 practices and, you know, you could make the  
13 registration process easier for an organic, you  
14 know, pesticide or product, that doesn't necessarily  
15 mean it's going to, you know, have wide adoption.  
16 We need other kinds of incentive programs to help  
17 folks do that and to make those choices.

18 So, yeah, I would just love to hear kind  
19 of your thoughts and comments on that.

20 CAMERON DOUGLASS: Yeah. I mean, in  
21 response to your first question about incentives, I  
22 think the sort of driving concept there was that EPA  
23 should do with whatever it can to increase -- you  
24 know, we always talk about a toolbox a lot in pest  
25 management science -- the toolbox of nonconventional

1 pesticides that growers have. And I think, as you  
2 put it, that first question is very much tied to  
3 that second one where the rest of us have a very  
4 important role in trying to improve the adoption of  
5 those tools once EPA has approved them.

6 So we know we made a motion to sunset the  
7 work of this workgroup, but I, myself, certainly  
8 hope to continue to carry out a lot of this work  
9 through, you know, the federal IPM coordinating  
10 committee and other federal stakeholder groups that  
11 I participate in. And I think we hope that, you  
12 know, our recommendations and this discussion will  
13 spur similar discussions about what other external  
14 stakeholder groups can do to better or improve  
15 moving forward on resistance management.

16 ROSEMARY MALFI: Thank you. Just I'll  
17 tack a comment onto the end of that, which is, you  
18 know, there seems like there's an opportunity for,  
19 you know -- and I know things can be siloed, but  
20 there's an opportunity for EPA and USDA to work  
21 together, potentially through something like the  
22 NRCS Program, to kind of boost some of the  
23 incentives that are already there to help growers,  
24 you know, adopt some practices that would help  
25 combat resistance management, and that can even be

1     some, you know, mechanical basic things like crop  
2     rotation.

3             And I also want to -- I had to bring up  
4     treated seeds because it's, you know, something  
5     that's been a point of contention, and I think, you  
6     know, sort of authority over pesticide-treated seeds  
7     is a little bit in question, and I do want to point  
8     out that, you know, it is a major source of  
9     prophylactic pesticide use right? They're being  
10    used continually every year, not necessarily in  
11    response to a pest threat, but, you know, sort of  
12    just in case there's a pest threat, and that's even  
13    in places where, you know, the research shows that  
14    pest incidence is very low, like for relevant pests.  
15    And we need ways of helping farmers to adopt like  
16    untreated seeds or seeds that are -- that don't have  
17    insecticides on them.

18            And there are two problems there. One is,  
19    you know, we need incentive programs to help people  
20    make those as choices, but, also, those choices are  
21    very constrained by what is currently available.  
22    Many farmers report that they can't get the variety  
23    of corn that they want as an untreated -- or, you  
24    know, as an untreated type. So there are just  
25    numerous challenges there and I think that there's a

1 real opportunity for EP and USDA to collaborate in  
2 tackling some of those barriers.

3 CAMERON DOUGLASS: I appreciate those  
4 comments.

5 NIKHIL MALLAMPALLI: I just want to add  
6 that EPA does participate with that FIPMCC Committee  
7 right now and we'd be happy to continue the  
8 conversation there, too.

9 JEFFREY CHANG: Anastasia?

10 ANASTASIA SWEARINGEN: Hi, thanks. So a  
11 really interesting update, you know, we don't  
12 usually, as the antimicrobials industry, participate  
13 in these workgroups, but we noticed that your  
14 recommendations go pretty far beyond conventional  
15 pesticides, particularly beyond agricultural use  
16 pesticides to extrapolate some of these  
17 recommendations to products that would be outside of  
18 that field.

19 I just want to understand how you brought  
20 in expertise from those other types of pesticide  
21 user groups. I know no one from our industry group  
22 was part of that, and I don't know that those  
23 recommendations are really applicable or relevant  
24 for those types of use patterns and products.  
25 They're very different in their modes of action and

1 use patterns, and I just want to understand, you  
2 know, why the report went further than just the  
3 agricultural use without bringing in the expertise  
4 from some of those other types of users and industry  
5 partners.

6 CAMERON DOUGLASS: Yeah, I appreciate that  
7 comment. I think, you know, we wanted to try to go  
8 beyond a narrow focus on agriculture, and, you know,  
9 the first workgroup had a lot of weed scientists on  
10 it and so there was a bit of a theme in the  
11 recommendation that was really focused on  
12 agriculture. And so I think the second workgroup,  
13 we wanted to try to tackle something that was a  
14 little bit more broadly applicable.

15 I think your point about perhaps not  
16 necessarily doing the stakeholder outreach that we  
17 should have is a valid one. You know, we did speak  
18 with experts at CDC and FDA, who work on at least  
19 antimicrobial issues as it relates to human and  
20 animal drugs. I know that's very different than  
21 some of the products you're talking about. So I  
22 think your point about needing to have done a little  
23 bit more outreach is a fair one and I think that's  
24 something that we can try to address moving forward.

25 ANASTASIA SWEARINGEN: Thank you.

1           JEFFREY CHANG: Nathan?

2           NATHAN DONLEY: Great. And apologies in  
3 advance. I'm in a hotel room and my internet  
4 connection is kind of spotty. So if I go in and  
5 out, just holler at me.

6           Well, I do want to, you know, lend support  
7 for the scope of your work here. I think your  
8 workgroup has done a good job here and it's nice to  
9 see you all wrapping up your work product and I want  
10 to thank everyone for the work they've put in.

11           And I want to, once again, say I think the  
12 most important aspect of resistance management is  
13 pesticide reduction. Pesticide reduction can take  
14 many forms. It doesn't mean just canceling  
15 pesticides. It can mean, you know, IPM -- true IPM,  
16 not IPM in name only, which we're seeing happen  
17 quite a bit more often now. It can mean things like  
18 rotating different modes of action in different  
19 years instead of always combining them year after  
20 year.

21           But the pesticide overuse and, as Rosemary  
22 said, prophylactic use are certainly the biggest  
23 threats to having effective pesticides when they're  
24 actually needed, and it seems that that principle  
25 may have guided this group in a few of your



1 recommendations. But I would certainly like to see  
2 it stated a bit more explicitly than it is  
3 currently.

4 And, let's see, oh, yeah, 682. So we've  
5 been really vocal that the agency needs to initiate  
6 rulemaking on 682 regs on multiple fronts to require  
7 a whole lot more information from the registrants  
8 than what they're admitting to EPA. And while I  
9 think the greatest need for that is with incidents  
10 of harm to humans and wildlife, incidents of  
11 pesticide resistance are a really important aspect  
12 of 682 as well and, you know, right now, I would  
13 hazard to guess that most incidents of pesticide  
14 resistance are not reported to EPA by registrants,  
15 because they fail to kind of meet that very high  
16 reporting bar that's currently written into the  
17 regs.

18 So I think a recommendation to update  
19 the 682 regs would, I think, be a very worthy one  
20 and a very important request to get the agency even  
21 more information than it's currently getting right  
22 now. And as a bonus, it would align with asks of  
23 the agency, such that, you know, I think they could  
24 accomplish multiple important things with one  
25 rulemaking.

1           And as far as a recommendation to include  
2 pesticide resistance incidents on the incident data  
3 system, I think it's a good one. I think they need  
4 to be publicly available. I would just ask that  
5 your recommendation for that include an ask to EPA  
6 that they reach out to stakeholders before doing so.  
7 One worry I have is there's currently only one code  
8 for harm to plants and I imagine the pesticide  
9 resistance incidents would kind of be lumped into  
10 like incidents of drift and volatility and so that  
11 could make the database a little bit more difficult  
12 to use. So I think a new code would need to be  
13 added. And, anyway, if EPA consulted stakeholders  
14 before making such a change, I think it would be --  
15 it would be good. So I would just say that.

16           And the last thing is, you know, you guys  
17 are going to submit this report soon, so I'm not --  
18 there's really no ask here other than, you know, I  
19 would love to see the exploration of how registrants  
20 can be compelled to do more here because a lot is  
21 being asked of the Government, a lot is being asked  
22 of individual farmers when it comes to doing  
23 something about resistance, and a lot of that is  
24 well placed. The registrants, who I think  
25 objectively have played a big role in creating this

1 mess, need to do a lot more here, and they have the  
2 resources to do a lot more here. So  
3 I'm not sure what that ultimately looks like, but  
4 it's something that just strikes me as needing to  
5 happen.

6 So for what it's worth, that's all for me.  
7 Thank you.

8 JEFFREY CHANG: Hardy Kern?

9 HARDY KERN: Hey, everyone. Sorry, it  
10 looks like my laptop camera is no longer working  
11 today. So it's just the disembodied voice of myself  
12 over a hummingbird. So apologies for that.

13 Thank you so much, Cameron. That was a  
14 really helpful report-out and I really appreciate  
15 the recommendations that were in there, especially  
16 the evaluations of the different regulatory barriers  
17 and the incentive structures for IPM. I think  
18 that's really interesting. And to echo what  
19 Rosemary said, evaluating unnecessary, duplicative  
20 or -- and/or duplicative pesticide applications,  
21 such as seed treatment, coupled with over-the-top or  
22 soil drenching with essentially, you know, the same  
23 active ingredients is something that we would love  
24 to see included in this.

25 And jumping off of what Nate said, with

1 the inclusion possibly in the pesticide incident  
2 database, did your group at all talk about how that  
3 might be reported, or what type of threshold would  
4 count as a, you know, pesticide resistance event?  
5 Did that come up at all in your discussions?

6 And this is my first PPDC meeting as a  
7 member, so I apologize if this has been covered in  
8 previous talks.

9 CAMERON DOUGLASS: No, it hasn't, and it's  
10 a good question. We certainly discussed those types  
11 of more detailed kind of implementation side of that  
12 data and simply kind of ran out of time for working  
13 out those details and reaching a consensus on that.  
14 So we sort of left the recommendation in our report  
15 at a little bit higher level. But, again, I think  
16 it's one of the issues that I hope we can continue  
17 to work on, whether it's through PPDC or other  
18 platforms.

19 HARDY KERN: Gotcha. That's fantastic.  
20 This is definitely something we'd like to be engaged  
21 in on. Appreciate all the work. This is great.  
22 Hummingbird out.

23 JEFFREY CHANG: Marc Lame?

24 MARC LAME: Yes. You know, working with  
25 Nikhil and Cameron was really a joy. These guys

1 were great leaders of this group and really, really  
2 were able to put things together well, and I'm going  
3 to stick with that.

4 I'm going to start with the idea that I  
5 would encourage everyone to adopt up this report,  
6 more so to even read the report, because there's so  
7 much more in it. I've been hearing about resistance  
8 management for about 45 years, not to make myself  
9 sound too old, but that's pretty old. So I've been  
10 hearing about it and the one thing being part of  
11 this group -- and I was encouraged to be part of it  
12 -- at first, I didn't want to be, but being part of  
13 it, I realized how important this is. I mean, it is  
14 -- it's not -- as Cameron said, it's not just an  
15 agricultural commodities production thing for the  
16 ag business industry. It's also public health.

17 And because resistance means more  
18 pesticide, more pesticide means more exposure, and  
19 so there's going to be more public health problems,  
20 in particular with disenfranchised communities. And  
21 so, you know, I wanted to take the time to make  
22 sure that people understood how important that was  
23 and how linked these are. Forty-five years ago,  
24 resistance management and integrated pest management  
25 were born from the same needs and the needs were

1 that we were failing to control pests with the tools  
2 that we had, and the tools that we had, by using  
3 them so much and relying on so much, not only caused  
4 resistance, but caused environmental problems and  
5 health problems. And so these things had to be  
6 dealt with together.

7 Our group rightfully dealt with the  
8 regulatory side of integrated pest management. Yet,  
9 from the people who have commented so far, I've  
10 heard words like more need for adoption, more need  
11 for innovation to compel registrants, and all of  
12 that is about changing behavior. And so we need to  
13 look at that part of OPP that does more outreach and  
14 education, even in a nonregulatory sense.

15 But more that there is the pesticide  
16 environmental stewardship branch and, you know, we  
17 didn't deal with that too much, but, yet they are  
18 the outreach folks when it comes to IPM and could do  
19 it as well with resistance management. And so there  
20 needs to be some prioritization there. Yet, it's my  
21 understanding that the pesticide environmental  
22 stewardship program has a different status now,  
23 which could possibly be not working as in it's  
24 not there anymore. So that's concerning to me and I  
25 wanted to at least add that comment of the

1 nonregulatory side of the agency which is  
2 under-recognized and certainly underfunded.

3 JEFFREY CHANG: Daniel?

4 DANIEL MARKOWSKI: Hello, I'd like to just  
5 bring up a point. I don't know if the workgroup  
6 considered this, but -- and I certainly don't have  
7 -- anyone that really has an answer, but maybe we'll  
8 make Ed come up with the answer.

9 My concern with pesticide resistance isn't  
10 just resistance within the species, but it's to a  
11 specific class. We all know that class rotation is  
12 the primary way to manage resistance. But if you're  
13 dealing with a species like my members do, that fly,  
14 if you have a lot of a certain class of pesticides  
15 being used in one program, one county, you know,  
16 relatively close by, you rotate to that new class  
17 because you see resistance. You're rotating to a  
18 class that they're already -- the mosquitoes are  
19 highly, you know, subjected to.

20 So is there some mechanism within the  
21 incident reporting to just report nationwide, you  
22 know, general use trends so that you know what  
23 classes of pesticides are being used around your  
24 application area? Has that been considered? And if  
25 not, how could we consider that? I'm just throwing

1 it out there.

2 CAMERON DOUGLASS: Yeah, I think my basic  
3 response to that would be that it's not part of the  
4 incident database system. EPA doesn't directly  
5 report pesticide usage data. Obviously, you know,  
6 the National Agriculture Statistic Service within  
7 USDA does. There's some proprietary sources of  
8 those data. I think it's certainly a good question.  
9 How to tackle that one, I'm not quite sure.

10 DANIEL MARKOWSKI: Yeah, like I said, I  
11 don't think there's an answer for it because I've  
12 been advocating for a national database just for  
13 mosquito, you know, pesticide use and resistance  
14 data, and it's a very problematic thing to do, to  
15 say the least. So just something to consider like,  
16 you know, pie in the sky, down the road, what would  
17 we do, because I know that within our industry it's  
18 a big concern. We have mosquitoes resistant to  
19 pesticides that, for mosquito control, we've never  
20 used in that area. So they're being impacted by  
21 some other use type. Whatever that may be, I don't  
22 know.

23 Thank you.

24 JEFFREY CHANG: Ligia?

25 LIGIA DUARTE: Thank you. Yeah, I just



1 wanted to express some similar concerns to what  
2 Anastasia raised in terms of the scoping of this and  
3 the potential impact that these recommendations  
4 could have on antimicrobial uses considering that,  
5 you know, the expertise wasn't consulted there for  
6 those categories and use patterns. I do think that  
7 if there are restrictions that are imposed on  
8 antimicrobials based on nonantimicrobial uses that  
9 that's certainly a concern. And so the agency  
10 should certainly consider that.

11 I also have some reservations with some of  
12 the recommendations in terms of impacting  
13 registration requirements and considering the  
14 resources that the agency already is lacking  
15 currently and how that can further impact agency  
16 resources. So I just wanted to throw that in there  
17 as well as a consideration. So thank you.

18 JEFFREY CHANG: Any other comments?

19 (No response.)

20 JEFFREY CHANG: Should we move to the  
21 motions, Ed?

22 KIMBERLY NESCI: Jeffrey, I had a quick  
23 question.

24 JEFFREY CHANG: I'm sorry.

25 KIMBERLY NESCI: And it's more a process

1 question because I'm new to the PPDC. The question  
2 I have is so, as we're talking, I'm sort of jotting  
3 down what I'm hearing is maybe caveats to the  
4 recommendation or additions to the recommendation  
5 from the workgroup like PSP branch to sort of  
6 enhance awareness in a nonregulatory, like Marc  
7 mentioned, and limiting the scope of the  
8 recommendation to ag uses because of the expertise  
9 in the group.

10 As part of the functioning of the PPDC,  
11 how are those recommendations sort of incorporated  
12 into the decision-making process for the greater  
13 PPDC?

14 ED MESSINA: I mean, one option -- this  
15 has happened in the past -- is if the PPDC group  
16 doesn't have enough to move all the recommendations  
17 forward, you can make a motion to have a subset, you  
18 can make a motion to have the workgroup reconsider  
19 some of the recommendations in light of some of the  
20 discussions. So there's a myriad of options for the  
21 PPDC members to move this forward or send it back to  
22 the subcommittee.

23 KIMBERLY NESCI: Okay. That's helpful,  
24 Ed. I'm not suggesting we send it back. I just am  
25 hearing some tailoring of the recommendations.

1 ED MESSINA: Yeah. So, subcommittee  
2 chairs, do you have any suggestions for tailoring if  
3 there were to be any?

4 NIKHIL MALLAMPALLI: I wouldn't want it to  
5 be just us tailoring it. We would have to have some  
6 sort of meeting with the workgroup and go over it.  
7 It's a pretty dense report. Ed, is there a way for  
8 PPDC to weigh in after the meetings in written  
9 format or --

10 ED MESSINA: Well, it's on OPP -- I mean,  
11 so it would be the subworkgroup asking PPDC members  
12 to forward to EPA for consideration.

13 So the next step is, you know, through  
14 motions or whatever, you know, is the full PPDC  
15 willing to put their report forward, do they want to  
16 wait and, you know, take it back and read it and  
17 then have that be done at the next meeting? Do they  
18 want revisions? Are they good with maybe sending it  
19 forward with some caveats, you know, some language  
20 someone wants to throw out there like, you know, we  
21 recommend the full report go forward, noting some  
22 caveats as part as the discussion that, you know,  
23 that the antimicrobial work needs to continue or  
24 needs to be changed or full support, or, you know,  
25 whatever folks want to propose for language for --

1 to capture this discussion.

2 Does that answer your question, Nikhil?

3 NIKHIL MALLAMPALLI: Yeah, I mean, sure.

4 It sounds like a question for PPDC to consider.

5 ED MESSINA: Exactly.

6 I think Marc had his hand up or is that  
7 legacy?

8 MARC LAME: No, I have my hand up.

9 ED MESSINA: Great.

10 MARC LAME: First, with regard to this  
11 current conversation, basically, I think people need  
12 to read the report. It's these -- you know, you can  
13 only put so much on these slides, and I think that  
14 Cameron covered it and -- but in the report, it does  
15 discuss some of the nonregulatory stuff. So I'm  
16 satisfied that it's there. I don't see that as an  
17 addition, although I think like everything should  
18 begin and end with integrated pest management. But  
19 that's just me, you know, having fun.

20 But seriously, I was not trying to change  
21 that. I was just trying to get across that there is  
22 a report out there that's a robust report and it has  
23 this stuff in it.

24 Furthermore, I'm a medical entomologist,  
25 and we had another medical entomologist who also

1 specializes with disinfectants from the University  
2 of Arizona. So the group was not without expertise  
3 when it came to those type of pesticides. And so,  
4 you know, we had that.

5 And, furthermore, you know, to say that  
6 the EPA doesn't have resources so it shouldn't have  
7 policies regarding something as important as  
8 resistance management with all of the pesticides is  
9 -- you know, that's, quite frankly, ridiculous. I  
10 mean, we're here to advise with regard to policy and  
11 resistance management is a very important subject  
12 that needs more robust policy at this point. And  
13 there's no doubt in my mind that it cuts across all  
14 of the sectors of pesticides, the innovative ones  
15 just as much as the ones that are more conventional.

16 So, you know, I just wanted to respond to  
17 those comments and to add in I think it's looking  
18 pretty good as it is personally.

19 KIMBERLY NESCI: That's helpful, Marc.

20 Thank you.

21 ED MESSINA: Daren?

22 JEFFREY CHANG: Oh, wait, Gary had one.

23 Gary had a comment.

24 ED MESSINA: Oh, Gary's first? Sorry.

25 JEFFREY CHANG: Yes.

1           GARY PRESCHER: Yeah, thanks. Looking at  
2 this, the timing of it, I'm uncomfortable -- I  
3 haven't quite digested everything in this regarding  
4 how it would impact the folks that I'm representing  
5 here. So I just wanted to kind of say I would like  
6 some more time to really digest the recommendations  
7 and read the whole thing through and then counsel  
8 with the folks that I represent.

9           So, you know, I realize that kicking the  
10 can down the road is sometimes not what we want to  
11 do, but having worked in the workgroup 1, I mean,  
12 this is such a big, broad area that -- and it's  
13 important, you know. And there are many things in  
14 here I can agree with just top of mind looking, you  
15 know, on IPM and those types of things.

16           But I guess I would speak for thinking  
17 about delaying this until the next meeting, so we  
18 can have a little bit more -- so I can and the group  
19 I represent can have a little bit more time to  
20 digest everything in here appropriately, and then  
21 maybe providing some way for suggestions for  
22 tweaking. Some of that was already talked about a  
23 little bit here.

24           And then, lastly, I recognize there's  
25 probably expertise on the workgroup for the

1     microbials but the ag products is kind of the focus  
2     where this started and, here again, it was really  
3     easy to get in the weeds to talk about too many  
4     things, tried to do too much too soon with this  
5     topic. So I would encourage the group just to kind  
6     of stay focused on the ag products here for right  
7     now, and long term, if the microbials wanted in on  
8     the action, you know, they can figure out how to do  
9     that one way or another with or without the team.  
10    That's my comments.

11             JEFFREY CHANG: Daren?

12             DAREN COPPOCK: Thank you. I'm new to the  
13     PPDC, also, and so I don't have the benefit of all  
14     of the context and prior workgroups and reporting.  
15     And I did skim the report yesterday, but I am far  
16     from having read and digested the entire thing.

17             There's a lot that's good in here, and so  
18     I don't want the co-chairs to feel like we're poking  
19     holes in your achievement here because there's --  
20     you've done a lot of good work. But it would  
21     benefit from some additional time. What concerns me  
22     most is when I hear from people that say there are  
23     potentially impacts here that impact my constituency  
24     and we either haven't carved them out or given them  
25     input into the process. And I wouldn't want to be

1 in that situation and so I don't want to put anybody  
2 else in that situation So it would be -- I think it  
3 would be good for us to either bring that expertise  
4 in so that the recommendations can represent  
5 everyone or carve those constituencies out and  
6 focus it like Gary just said, on the ag uses.

7 It would be helpful if we try to keep  
8 these broad if the antimicrobial or microbial folks  
9 could give us some specific information about which  
10 proposals are concerning to them and that way we  
11 could do a better job of making a good carve-out.  
12 But I'm not sure we're ready to pass it in its  
13 current form today.

14 JEFFREY CHANG: Mano?

15 MANOJIT BASU: Thanks. Thank you, Jeff.  
16 And Daren said everything I wanted to say. Again, a  
17 big thank you to Cameron, Nikhil, Marc, and everyone  
18 else on the workgroup. This is a lot of work. I  
19 know several of the CropLife America members are  
20 part of the workgroup as well. So again, excellent  
21 work here. But if you could just get some time to  
22 read, digest what's in there, share with the broader  
23 membership, that certainly would be helpful.

24 I know from a -- correct me if I'm wrong,  
25 from a process point of view, we established or



1 reestablished this workgroup in November, of which  
2 automatically gave them a year time. That's how I  
3 guess the PPDC workgroups are. And then November is  
4 when we do review the final reports, also, as well  
5 as I decide on extension or sunseting. So if we  
6 have that time, I think that would just help do the  
7 outreach and educate membership for several of the  
8 organizations here. So that time would certainly be  
9 helpful

10 But, again, thank you for all the great  
11 work that the workgroup has done.

12 JEFFREY CHANG: Anastasia?

13 ANASTASIA SWEARINGEN: I'm just going to  
14 echo the support to give more time and make the  
15 offer that those of us in the antimicrobials  
16 industry are certainly happy to talk with this  
17 workgroup and explain kind of what's going on in  
18 this space with the development of different  
19 methods to explore resistance in the antimicrobial  
20 use space and how it could be tailored to either  
21 carve-out and retain that focus on ag or what might  
22 be appropriate to include in the future for an  
23 antimicrobial-specific look at resistance. So thank  
24 you.

25 JEFFREY CHANG: Kim?

1           KIMBERLY NESCI: Well, I guess I'm hearing  
2 a proposal, so let me see if I'm capturing it  
3 correctly. I'm hearing the PPDC wants to keep the  
4 report, you know, commends the workgroup for all of  
5 the work that has been done because it's clearly  
6 quite a lot. What I'm hearing is most of us want to  
7 review and digest the information, have the  
8 opportunity to talk with the people that we  
9 represent. The Antimicrobial Group representatives  
10 might want to have a separate side conversation with  
11 the workgroup and that, at the meeting in November,  
12 we have a facilitated sort of PPDC member discussion  
13 to obtain consensus on final recommendations. Is  
14 that right? Did I -- is that how this works being  
15 new to the PPDC?

16           ED MESSINA: That works, but we'll let  
17 others chime in. You could have -- interpret that  
18 as a motion and have somebody second and then vote  
19 on whether that's what folks want to do or keep the  
20 discussion going.

21           KIMBERLY NESCI: I mean, do folks  
22 generally agree that that's what their -- I see Kim  
23 Brown.

24           KIM BROWN: Well, I mean, that's kind of  
25 what I'm hearing. I mean, this is my first PPDC,

1 but in the interest of moving along, first off, I  
2 did read the document as best I could in the amount  
3 of time, and it's a great document. So I really  
4 commend the group for the efforts that you all put  
5 forward. But I really like the idea just like what  
6 Kim just said. So I'd actually -- if we could  
7 formalize what Kim said as a motion, I'd happily  
8 second that to move the process along and we can  
9 have a little bit more discussion if somebody else  
10 has got something to add.

11 JEFFREY CHANG: Bob and David, are those  
12 hands for a motion or a comment?

13 BOB MANN: Yeah, I was going to say that  
14 if Kimberly could put her comment into the form of a  
15 motion, I would be happy to second it.

16 KIMBERLY NESCI: Well, I could do that.

17 JEFFREY CHANG: David?

18 KIMBERLY NESCI: David, yeah.

19 DAVID SHAW: Yeah, I think I can support  
20 the motion, obviously depending on exactly the  
21 wording. I think we do need to be sure that we  
22 provide the latitude of the group, given the  
23 original charge. It sounds to me like the existing  
24 workgroup and the work that they've done might want  
25 to have the option of being able to pair it down to

1 a more ag pesticide focus, because I think what we  
2 have heard this afternoon is that there's probably  
3 the need for, at some point in time, maybe a  
4 separate workgroup that really does bring in the  
5 right expertise to focus on the antimicrobials.

6 JEFFREY CHANG: Marc?

7 MARC LAME: Yeah. So I get the thing  
8 about speaking with ag and bringing in more debate  
9 on the antimicrobials, and that's fine with me, at  
10 least the antimicrobial stuff. I have some real  
11 concern when it comes to just ag, you know, we have  
12 mosquito control, any kind of vector-borne disease  
13 stuff that's going on right now. You know, I mean,  
14 we have rodenticides. We have lots of stuff that's  
15 going on, affecting millions and millions of people,  
16 many of whom are underserved and have nothing to do  
17 with antimicrobial. I mean, so that can be carved  
18 out or debated.

19 But sticking to ag is, you know --  
20 resistance management is just so much more than  
21 that, and if we leave it at that, we're -- I don't  
22 think the agency will be able to expeditiously deal  
23 with its mission, not to mention ESA.

24 JEFFREY CHANG: Kim?

25 KIM BROWN: Yeah, I'm just going to chime

1 in really quickly. I agree with Marc. I think that  
2 in the interest of moving this forward, it sounds like  
3 -- and I'm going to go back to what Kim said, maybe  
4 what we do is charge this committee to take this  
5 back and work with those microbial folks --  
6 Anastasia volunteered to help -- and you all kind of  
7 vet it out between now and November to see if maybe  
8 there's a way to word it so that it doesn't -- if  
9 microbials don't fit into it, then you can kind of  
10 find a way to word it to not make it  
11 all-encompassing of that group as well.

12 But I do agree with Marc's statements. So  
13 I don't really know how to make the motion to move  
14 that forward. Maybe Kimberly can do that. So since  
15 you kind of started it, Kimberly, why don't you do  
16 that and I'd be happy to second it?

17 KIMBERLY NESCI: Yeah, I can sort of  
18 restate what I heard because I think I've tailored  
19 it a little bit from the first statement. But I  
20 think I would move that the antimicrobial experts  
21 get with the workgroup to talk about their specific  
22 needs and, at the same time, the PPDC workgroup  
23 members consider the full report as it is, based on  
24 our stakeholder viewpoints, and that we all  
25 reconvene -- so this is a motion -- and that we all

1 reconvene at the next meeting in November to discuss  
2 any tweaks as a result of the conversation with the  
3 antimicrobial experts and then vote on the --  
4 facilitate a discussion about the other  
5 recommendations and then vote in November.

6 ED MESSINA: Is there a second?

7 KIMBERLY NESCI: Sorry. I tried to  
8 simplify it, but not successfully.

9 ED MESSINA: Is there a second or a  
10 suggestion for modification?

11 BOB MANN: I'll second the motion. Bob  
12 Mann.

13 ED MESSINA: Okay. All in favor, raise  
14 your hands, and Jeffrey will do a count.

15 JEFFREY CHANG: Yes, and please keep them  
16 up until I tell you to put them down, so I can get  
17 an accurate read.

18 ED MESSINA: And, Jeffrey, for the  
19 transcript, you may want to read the name of folks  
20 or --

21 JEFFREY CHANG: Okay.

22 ED MESSINA: You're going to, you know,  
23 think about the transcript that's coming and how you  
24 want to capture whose hand is raised.

25 JEFFREY CHANG: Sure, I can read off the

1 names. Kim Brown, Karen Reardon, Grant Morris,  
2 David Shaw, Keith Jones, Brian, Alanna Bares, Walter  
3 Alarcon, Marc Lame, Anna van de Zalm, Jill  
4 Schroeder, David Heimer, Robert Neilsen, Kimberly,  
5 Nesci, Bob Mann, Ligia Duarte, Daniel Markowski,  
6 Wendy Sue Wheeler, Terry Kippley, Daren Coppock,  
7 John Wise, Anastasia, Mano Basu, Lisa Dreilinger,  
8 Emma Torres, Andrew Architect, Claudia Arrieta, and  
9 that gives us 27.

10 GARY PRESCHER: Prescher votes yes, too.

11 ED MESSINA: The motion passes. And Gary  
12 -- Gary votes what?

13 GARY PRESCHER: Yes. I don't seem to have  
14 a raise my hand function here.

15 JEFFREY CHANG: Okay, 28.

16 ED MESSINA: Okay. With that confirmed, I  
17 just --

18 MILY TREVINO-SAUCEDA: This is Mily and  
19 you didn't say my name, and I don't know if you  
20 caught my --

21 JEFFREY CHANG: Okay. Mily Trevino, 29.

22 KIMBERLY NESCI: I can (inaudible) in the  
23 chat. I don't know if it's inappropriate to use,  
24 Jeffrey, the chat, but I can write what I -- the  
25 motion if that's helpful.

1           JEFFREY CHANG: Sure.

2           (Pause)

3           ED MESSINA: So just to confirm, the  
4 motion was seconded and passed and we'll have the  
5 record reflect that.

6           Jeffrey, it looks like we're also out of  
7 time for the public part. We'd like to close the  
8 session if you're good with that.

9           JEFFREY CHANG: We have 20 minutes for the  
10 public session. Is that okay, Ed?

11          ED MESSINA: Yeah, I thought it -- didn't  
12 it start at 4:35?

13          JEFFREY CHANG: It was supposed to start  
14 at 4:35, but we have until 5:00.

15          ED MESSINA: Okay, great.

16                   PUBLIC COMMENTS

17          JEFFREY CHANG: Okay. So we are nearing  
18 the end of our first day of the two-day PPDC  
19 meeting, and we would -- we want to give the members  
20 of the public who have listened a chance to provide  
21 comments. Please raise your hand if you registered  
22 to provide comments, and we are -- when you are ready  
23 to speak, our technical support team behind the  
24 scenes will promote each registered commenter to  
25 panelists, which will allow you to unmute your line.



1 You will receive a prompt to unmute. Please accept  
2 it. Please wait until I call on you, going in order  
3 of those listed on the screen first, to turn on your  
4 mic, then deliver your remarks slowly and clearly.

5 When you are making your comment, please  
6 state your name and affiliation, if you have one.  
7 We ask that you limit your remarks to three minutes.  
8 I will show a slide when you have 30 seconds left.  
9 Again, please keep your remarks within the maximum  
10 time allowed. When the timer makes it to zero, I  
11 will allow you to finish whatever statement you are  
12 making and then I will cut you off so we can make  
13 sure that everyone who has signed up to share  
14 comments has the opportunity to do so.

15 So up first, we have Doug Johnson. Doug,  
16 are you there?

17 DOUG JOHNSON: There we go. I just got  
18 the unmute message. Thank you. Doug Johnson, I'm  
19 the Executive Director of a nonprofit organization,  
20 the California Invasive Plant Council. And we  
21 serve land managers in California who are protecting  
22 natural areas from invasive plants as part of their  
23 job and they use herbicides, of course. And I was  
24 very interested to hear this discussion this morning  
25 about the labels and label reform.

1           And I just wanted to -- it's probably  
2           already on your radar screen, but something that has  
3           become a challenge for our members is that there  
4           seems to be some confusion in the regulatory sector  
5           between the state and the counties on which  
6           herbicides can be used in wildlands, and that has to  
7           do with labels in some cases saying they can be used  
8           in natural areas, that particular product. In other  
9           cases, just saying things like noncrop. And so  
10          while many folks might interpret noncrop to mean be  
11          able to be used in wildland areas, not all county  
12          commissions -- you know, agricultural commissioners  
13          in this case necessarily will make the same call.

14                 So I think the idea of having a controlled  
15          vocabulary standardization on where a given  
16          herbicide can be used would be extremely helpful,  
17          and that's probably a big lift and I'm not an expert  
18          on all the systems in place, but if we can move in  
19          that direction that would be extremely helpful.  
20          Thanks so much.

21                 JEFFREY CHANG: Thank you.

22                 John Bottorff?

23                 JOHN BOTTORFF: Yes. Can you guys hear  
24          me?

25                 JEFFREY CHANG: Yes.

1                   JOHN BOTTORFF: Oh, excellent. Good  
2                   afternoon, my name is John Bottorff with  
3                   CleanEarthforKids.org, and I want to thank you for  
4                   this opportunity to speak at the committee. Though  
5                   the presentations today were really informative,  
6                   what I did not hear was the plan or any mention to  
7                   eliminate or even reduce the use of synthetic  
8                   pesticides.

9                   So is there a workgroup or where is the  
10                  workgroup on helping farmer transition to  
11                  chemical-free methods? Where is the strategy to use  
12                  organic and regenerative farming? And where are  
13                  representatives for organic and regenerative farming  
14                  on this committee? Were organizations like The Soil  
15                  Institute or the Rodale Institute invited?  
16                  The vast majority of this committee is directly or  
17                  indirectly funded by the pesticide industry, and  
18                  that industry is tied at the hip with the fossil  
19                  fuel industry. Ninety-nine percent of synthetic  
20                  pesticides and synthetic fertilizers come from  
21                  fossil fuels. They are petrochemicals.

22                  I would ask all of you to read the book,  
23                  Economic Poisoning: Industrial Waste and the  
24                  Chemicalization of American Agriculture by Professor  
25                  Adam Romero of the University of Washington. The

1 book lays out how, at the turn of the century, the  
2 mining, oil production, and chemical manufacturing  
3 industries create a market for their toxic waste  
4 into farming. These industries created the belief  
5 that we can't grow food without their toxic  
6 chemicals, a campaign that the petroleum industry  
7 has pushed hard since the 1940s. The petrochemical  
8 industry does not want organic or regenerative  
9 agriculture because they don't make products from  
10 it.

11 We are poisoning our children, our  
12 environment, our water, and ourselves so these  
13 industries can make their profits and this has to  
14 stop. The millions and millions of gallons and  
15 pounds of pesticides used in our country every  
16 year all come from fossil fuels. If the EPA wanted  
17 to be serious about climate change, then they have  
18 to address the use of synthetic pesticides and  
19 fertilizers. It's a false narrative that these  
20 petrochemicals are needed and necessary to grow our  
21 food, a narrative pushed by industry for their own  
22 purposes.

23 And I'm talking specifically about  
24 pesticides. The U.S. is very, very behind in  
25 regulating the use of pesticides. Approximately

1 one-third of the annual U.S. pesticide use are  
2 pesticides with active ingredients banned in the EU.  
3 The EPA routinely registers for use pesticides with  
4 ingredients widely considered around the world to be  
5 dangerous to human health. For example, multiple  
6 studies in California showed 13 agricultural  
7 pesticides they examined increased children's cancer  
8 risk up to two and a half miles away from the  
9 application site, but only five are classified as  
10 restricted use by the EPA, but 11 of those 13 are  
11 banned or not approved in other countries and 10 of  
12 those are banned in at least 28 countries.

13 Any pesticide, any chemical that causes  
14 cancer, especially in children, has to be banned,  
15 not regulated, not monitored, not minimized, not  
16 risk-reduced, but banned, banned for all uses. If  
17 you want to reduce risk for a toxic chemical, you  
18 stop using it. You stop the risk by stopping the  
19 use.

20 The mission of the EPA is to protect human  
21 health and the environment. So CleanUpForKids.org  
22 asks the EPA and this committee to prioritize people  
23 before profits and get us off the toxic pesticide  
24 treadmill and get farmers back in natural methods.  
25 Thank you.

1           JEFFREY CHANG: Thank you.

2           Lewis Brown? Is there a Lewis Brown?

3           (No response.)

4           JEFFREY CHANG: How about Virna

5 Stillwaugh?

6           (No response.)

7           JEFFREY CHANG: William Jordan?

8           VIRNA STILLWAUGH: Jeff?

9           JEFFREY CHANG: Yes, Virna?

10          VIRNA STILLWAUGH: I'm here.

11          JEFFREY CHANG: Okay.

12          VIRNA STILLWAUGH: Sorry I didn't

13 understand the process. Okay, yeah, good afternoon,

14 I'm Virna Stillwaugh. I am the Vice President for

15 Scientific Affairs on the Northwest Horticultural

16 Council. I will represent growers, packers and

17 shippers of apples, pears, and cherries in

18 Washington, Oregon, and Idaho.

19           The fruit growers in the Pacific Northwest

20 grow their crops using science and research-based

21 practices. They perform integrated pest management

22 practices, including scouting, the use of economic

23 injury levels and economic thresholds before

24 applying pesticides. They following insecticide

25 resistance management programs by rotating pesticide

1 active ingredients, use high-precision equipment,  
2 and decision models to allow targeted and reduced  
3 pesticide applications. So they do a lot to reduce  
4 the use of pesticides.

5 Growers do not use pesticides unless they  
6 are needed, and in some cases, they have eliminated  
7 the use of some of these products, because they are  
8 more expensive than other control tactics. For  
9 example, for antibiotics and fungicides, they are  
10 used judiciously with established resistance  
11 management programs and we do resistance surveys in  
12 these states to determine if there is resistance  
13 from certain diseases that these products are used  
14 against.

15 So today, the surveys show that there is  
16 no resistance to these compounds in tree fruit in  
17 the Pacific Northwest. So we support the continued  
18 use of science and risk assessment regulatory  
19 policies of pesticides, including antibiotics and  
20 fungicides are important tools for fruit production  
21 and are needed in the (inaudible) against pests and  
22 diseases. Tree fruit growers in the Pacific  
23 Northwest want to continue to produce quality and  
24 healthy crops, but need to be able to out-compete  
25 insects, disease, and weed pests to obtain good

1 crop yields that result in an abundant and  
2 affordable food supply for all, while at the same  
3 time protecting the environment, the public.

4 So we welcome the continued opportunity  
5 and engagement from EPA and PPDC to (inaudible).  
6 It's important to hear growers' input, to know and  
7 learn what growers are actually doing to manage  
8 resistance and to reduce the use of pesticides, and  
9 we appreciate that EPA extends this opportunity.

10 Thank you for all of the great  
11 presentations and the updates and that's it. Thank  
12 you very much.

13 JEFFREY CHANG: Thank you, Virna.

14 William Jordan?

15 WILLIAM JORDAN: Hi there. My name is  
16 William Jordan. I am the Pesticide Team Lead for  
17 the Environmental Protection Network, and I want to  
18 talk about three topics, the budget, the Resistance  
19 Management Workgroup, and the Label Reform  
20 Workgroup.

21 On the budget front, it should be  
22 pretty clear that when you reduce the EPA staff  
23 levels by nearly 30 percent and when you cut the  
24 amount of money that they can spend on contracts,  
25 they're not going to be able to do everything that



1 they're required to do on the timelines that the  
2 statutes demand they do that, and every stakeholder  
3 that's spoken so far today has asked for EPA to do  
4 even more.

5           So I think it would be really smart for  
6 the full PPDC to spend some time thinking about what  
7 does OPP need in order to be fully funded to carry  
8 out its responsibilities and to look collectively at  
9 how to make that happen, including, at the very  
10 least, all of the stakeholders joining in some sort  
11 of message to the Congress asking them to increase  
12 the funding to the minimum level that's required in  
13 PRIA.

14           With regard to the Resistance Management  
15 Workgroup, it's a really solid piece of work, and my  
16 colleague, Steve Jones, had a lot to do with that.  
17 I want to underscore two ideas that are in the  
18 report of the workgroup. The first is the  
19 importance of a resistance management coordinator in  
20 OPP. If there's not a dedicated position for that,  
21 at least a significant part of one staff person's  
22 time, it's not going to get the kind of attention  
23 that it needs. And as so many of you have already  
24 said, resistance management is a critical issue for  
25 Pesticide Program, broadly speaking.

1           The second is the need for good data. OPP  
2 understands very well that it's best to base its  
3 policy and regulatory decisions on sound data, and  
4 what's required in the 682 regulations is just not  
5 going to get the kind of information about  
6 resistance incidents that people need. There are  
7 opportunities to revise the 682 regs or even to use  
8 the authority in Section 159.195 to direct specific  
9 companies to provide information on resistance  
10 issues, incidents that are not covered by the more  
11 general regulations.

12           And, third, I think that as the group goes  
13 back and reconsiders its report, it should also take  
14 a look at the issues that Nathan Donley talked about  
15 of putting more responsibility on registrants.

16           The Label Reform Workgroup has done good  
17 work; it's a good start; a lot of good progress, but  
18 there needs to be more attention paid to the user  
19 experience and how to translate the good work that  
20 OPP does on labeling into labeling that users can  
21 understand and readily use. That means looking  
22 seriously at the use of web-distributed labeling and  
23 building a system, also, that is 100 percent  
24 compliant in terms of not just having things  
25 submitted digitally -- there's a big difference

1 between a PDF and a Word document and a document  
2 that -- a file that is tagged with metadata that EPA  
3 can manipulate, use, and use to compare data and  
4 extract information for use in risk assessments.

5 So there's a lot of important work that  
6 the Label Reform Workgroup has an opportunity to  
7 tackle in the next six months or a year.

8 Thank you.

9 JEFFREY CHANG: Thank you, William.

10 We have made it through the full slate of  
11 public comments. A sincere thank you to our  
12 workgroup chairs who presented today, to our PPDC  
13 members, members of the public who listened in and  
14 shared their views, and to all the support staff  
15 that made today's session possible.

16 We will reconvene at 11:00 a.m. tomorrow  
17 using the same Zoom for Government link as today.  
18 That's it for me. Thank you for your participation  
19 today, and I will hand it over to Ed Messina to  
20 offer final words and adjourn the meeting.

21 Ed?

22 ED MESSINA: Thanks, everyone. I know  
23 that everyone on this committee has got other jobs  
24 and is very busy. Thank you for what you do in  
25 representing your respective stakeholders, and as I

1 mentioned, the process that we have here for  
2 reviewing pesticides and enabling growers to have  
3 products that they need to combat pests.

4           So thanks everyone for your time. Thanks  
5 for those who listened in on the channel.  
6 Hopefully, it was informative for you, and I look  
7 forward to another great day tomorrow with lots of  
8 great topics. Have a great evening, everyone.

9           (Day 1 adjourned.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25